



ONTARIO ENERGY BOARD

FILE NO.: EB-2017-0306 Enbridge Gas Distribution Inc.
EB-2017-0307 Union Gas Limited

VOLUME: Volume 4

DATE: May 15, 2018

Lynne Anderson Presiding Member

Christine Long Vice-Chair and Member

Cathy Spoel Member

EB-2017-0306
EB-2017-0307

THE ONTARIO ENERGY BOARD

Enbridge Gas Distribution Inc. and Union Gas Limited.

Enbridge Gas Distribution Inc. and Union Gas Limited
Application for Amalgamation and Rate-Setting
Mechanism

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Tuesday, May 15, 2018,
commencing at 9:39 a.m.

VOLUME 4

BEFORE:

LYNNE ANDERSON	Presiding Member
CHRISTINE LONG	Vice-Chair and Member
CATHY SPOEL	Member

A P P E A R A N C E S

IAN RICHLER MICHAEL MILLAR	Board Counsel
KHALIL VIRANEY	Board Staff
FRED CASS MALINI GIRIDHAR VANESSA INNIS	Enbridge Gas Distribution Inc./Union Gas Limited
MARK LOWRY	Pacific Economics Group
JOHN VELLONE	Association of Power Producers of Ontario (APPrO)
TOM BRETT	Building Owners and Managers Association, Toronto (BOMA)
SCOTT POLLOCK	Canadian Manufacturers & Exporters (CME)
ROBERT WARREN	Municipality of Chatham-Kent
JULIE GIRVAN	Consumers' Council of Canada (CCC)
BRADY YAUCH TOM LADANYI	Energy Probe Research Foundation
DWAYNE QUINN	Federation of Rental-housing Providers of Ontario (FRPO)
IAN MONDROW	Industrial Gas Users' Association (IGUA)
JAYA CHATTERJEE	City of Kitchener
RICHARD KING	Kitchener Utilities

A P P E A R A N C E S

MICHAEL BUONAGURO	Ontario Greenhouse Vegetable Growers (OGVG)
JESSICA ANNE BUCHTA ALAN ROSS	Rover Pipeline
JAY SHEPHERD	School Energy Coalition (SEC)
BARRY WADSWORTH	Unifor
MARK GARNER	Vulnerable Energy Consumers' Coalition (VECC)

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:39 a.m.	1
ENBRIDGE GAS DISTRIBUTION/UNION GAS - PANEL 4: NERA PRODUCTIVITY STUDY M. Kitchen, D. Charleson, A. Mikhaila, J. Redford, Previously Affirmed	1
Examination-In-Chief by Mr. Cass	3
Cross-Examination by Mr. Millar	10
--- Recess taken at 11:02 a.m.	57
--- On resuming at 11:22 a.m.	57
Cross-Examination by Mr. Brett	77
--- Luncheon recess taken at 12:35 p.m.	97
--- On resuming at 1:35 p.m.	98
Cross-Examination by Mr. Pollock	98
Cross-Examination by Mr. Garner	109
Cross-Examination by Mr. Shepherd	114
Re-Examination by Mr. Cass	137
--- Recess taken at 2:40 p.m.	141
--- On resuming at 2:49 p.m.	141
OEB STAFF - PANEL 1 M. Lowry, Affirmed	141
Examination-In-Chief by Mr. Millar	142
Cross-Examination by Dr. Higgin	152
--- Recess taken at 3:34 p.m.	166
--- On resuming at 3:46 p.m.	166
Re-Examination by Mr. Millar	201
Procedural Matters	205
--- Whereupon the hearing adjourned at 4:51 p.m.	208

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. K4.1: BOARD STAFF CROSS-EXAMINATION COMPENDIUM FOR PANEL 4	10
EXHIBIT NO. K4.2: ENERGY PROBE CROSS- EXAMINATION COMPENDIUM FOR PANEL 4	58
EXHIBIT NO. K4.3: BOMA CROSS-EXAMINATION COMPENDIUM FOR PANEL 4.	78
EXHIBIT NO. K4.4: UNION/ENBRIDGE CROSS- EXAMINATION COMPENDIUM FOR PANEL 5	166

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. J4.1: TO RE-CALCULATE SAVINGS SHOWN IN FRPO 11 USING A STRETCH FACTOR OF 0.3 PERCENT	205

1 Tuesday, May 15, 2018

2 --- On commencing at 9:39 a.m.

3 MS. ANDERSON: Please be seated.

4 Good morning, everyone. We are here for Day 4 of an
5 oral hearing on applications by Enbridge Gas and Union Gas
6 for leave to amalgamate and for a rate-setting framework.

7 As we discussed yesterday, we are going to -- we
8 haven't finished panel 3, but we are going to move to panel
9 4, and it looks like we have that panel ready for us.

10 So unless there are any preliminary matters, just to
11 check in -- I wasn't aware of any -- then Mr. Cass, please
12 introduce your witnesses.

13 MR. CASS: Thank you, Madam Chair. As you noted, we
14 have the applicant's panel 4 ready to testify. On the
15 panel we have Mr. Kitchen and Mr. Culbert again. The new
16 witness, of course, is Jeff Makholm, from NERA, and of
17 course he has not been affirmed yet. I assume that would
18 be the first order of business, and then I will address the
19 matters to be covered by this panel in a little more
20 detail.

21 MS. SPOEL: Thank you.

22 **ENBRIDGE GAS DISTRIBUTION/UNION GAS - PANEL 4: NERA**
23 **PRODUCTIVITY STUDY**

24 **Mark Kitchen,**

25 **Kevin Culbert, Previously Affirmed;**

26 **Jeff Makholm; Affirmed.**

27 MR. CASS: Madam Chair, Dr. Makholm's evidence is at
28 Exhibit B, tab 2 in the EB-2017-0307 filing. At the outset

1 of that evidence, page 1, starting at page 1, there are
2 several pages setting out his qualifications as an expert.
3 As well, further on, starting at page 37 of Exhibit B,
4 tab 2, you will be able to see Dr. Makholm's CV. Following
5 that there is quite a detailed listing of some of his
6 experience in different areas.

7 In order to save time, there have been communications
8 amongst parties about qualification of experts. I
9 understand that Mr. Millar proposes later to qualify Dr.
10 Lowry as an expert in regulatory economics and incentive
11 regulation plans, including total factor productivity. The
12 applicants will have no objection to that.

13 I propose to put Dr. Makholm forward as an expert in
14 the same area. I don't know that there's any objections.
15 If there are, of course I can go through more questions to
16 qualify him as an expert, but I propose to qualify him on
17 the same basis as I understand that Mr. Millar will be
18 doing with Dr. Lowry.

19 MS. ANDERSON: Are there any objections?

20 MR. SHEPHERD: Madam Chair, we have no objection to
21 Dr. Makholm being qualified in the way proposed. I assume
22 that Mr. Culbert and Mr. Kitchen are not being qualified as
23 experts? It is unusual to have utility witnesses on an
24 expert panel. And so I'm just clarifying that they're not
25 experts and they're not answering questions to the expert.

26 MR. CASS: They are not here to testify as experts,
27 that's correct, Madam Chair.

28 MS. ANDERSON: Thank you.

1 Yes, we're fine with that.

2 MR. CASS: Thank you, Madam Chair.

3 **EXAMINATION-IN-CHIEF BY MR. CASS:**

4 MR. CASS: So Dr. Makholm, if I may. A few questions
5 for you. So the evidence that I have just referred to at
6 Exhibit B, tab 2 of the EB-2017-0307 filing, that is
7 evidence that was prepared by you or under your direction
8 and control?

9 DR. MAKHOLM: Yes.

10 MR. CASS: And you adopt that as your evidence in this
11 proceeding?

12 DR. MAKHOLM: Yes.

13 MR. CASS: Can you please summarize for the Board the
14 key recommendations in your evidence?

15 DR. MAKHOLM: Yes. I recommend an X factor of zero
16 for the amalgamated company. I also do not recommend a
17 stretch factor, as I explained in my evidence. It's a
18 well-accepted role -- X factor is a stretch factor that
19 fulfils a well-accepted role relating to the anticipated
20 efficiency benefits of transitioning from one regulatory
21 regime to another. Thus, any anticipated benefits have
22 long since translated into actual measured results for
23 these companies by this, the fourth-generation PBR plan for
24 Amalco units in Ontario.

25 And that's the sum of my evidence, an X factor of zero
26 and no stretch factor for the amalgamated company.

27 MR. CASS: Thank you, Dr. Makholm. Can you tell us
28 more about the use of the methodology that you followed in

1 your work?

2 DR. MAKHOLM: Yes, I derive my X factor recommendation
3 using a highly objective and transparent TFP growth method
4 that has been heavily scrutinized by finders of fact in
5 other regulatory jurisdictions in Canada and the United
6 States.

7 My method for performing TFP growth studies is rooted
8 in my scholarly PhD research at the University of Wisconsin
9 in the 1980s and has not changed since. I present the same
10 method in my testimony in front of this Board.

11 The largest ever generic investigation of objective
12 and transparent TFP growth studies for electricity and gas
13 distribution rate incentive regulatory purposes was
14 conducted by the AUC in Alberta in 2010 to '12, where the
15 AUC retained me as an independent expert, ultimately
16 accepting my theory, data, sources, timing, judgments on
17 inputs and computations for deriving the TFP element of the
18 X factor that the AUC chose in that proceeding.

19 My method -- that is, the theory, data, and
20 computations, and justifications for the use of inputs --
21 and data set has survived scrutiny beyond that generic
22 proceeding and have been used in their entirety in
23 jurisdictions since, including Alberta in 2017 and
24 Massachusetts in 2018.

25 MR. CASS: Now, Dr. Makholm, I understand that you and
26 Dr. Lowry actually came to the same conclusion on the
27 X factor being -- or the productivity factor being zero,
28 but you followed different methodologies. I don't think we

1 need to spend a lot of time on it, because you've come to
2 the same conclusion, but can you give the Board just a
3 high-level understanding of the differences in
4 methodologies that led the two of you to the same
5 conclusion on the productivity factor?

6 DR. MAKHOLM: Yes, Mr. Cass, I think you're right
7 there. Given that we both recommend an X factor of zero,
8 everything I'm about to say in answer to this particular
9 question can be rightly considered merely academic in the
10 literal use of the term. I say that literally and I mean
11 it literally.

12 I use FERC Form 1 data on electric distributors and
13 electric and gas companies in the United States. The data
14 set that I use was formed by statute by the direction of
15 statute in the 1930s and has been collectively -- and it's
16 been collected consistently -- consistently by federal
17 regulators since.

18 Dr. Lowry's data set uses state-regulated data because
19 when he decides to perform analyses of regulated
20 distribution companies, those are not regulated by the
21 federal government in the States, only by the States, and
22 the State data that he uses in that respect has to come
23 from various bits and pieces of data collected from state
24 regulatory filings. They don't go to the same place, they
25 are not evaluated by the same people, they don't conform to
26 the same rules.

27 The -- my methodology I'd like to consider is
28 transparent and easily replicable due to the underlying

1 data that I use. And in this case, I provided all the
2 data, which is all public data, the spreadsheet and the
3 methods when I filed my testimony, as I have done in
4 previous cases.

5 There -- we also have different methods for measuring
6 capital inputs. The FERC Form 1 data is a useful data set
7 because it allows us to use what's called one-hoss shay
8 depreciation, which is a particularly applicable way of
9 treating assets in productivity studies.

10 For instance, a pipe serves its intended purpose for a
11 company like these companies to my right, until it's taken
12 out of service. A pipe doesn't get smaller over time; a
13 pipe doesn't burn down like a candle would burn down over
14 time. A pipe is a pipe while it's in service, until it's
15 taken out. A power plant is a power plant; it does what
16 its intended service is supposed to be until it's taken out
17 of service.

18 One-hoss shay depreciation is a particularly useful
19 method of dealing with capital assets, which is why in my
20 scholarly research, I and other people who do such research
21 use it.

22 The kind of data that's required for that kind of
23 asset counting is not available from other sources, other
24 than the FERC Form 1. And hence, when Dr. Lowry accounts
25 for capital with gas distributors, he uses other methods,
26 and I conclude that those other methods are not as
27 reflective of what capital assets do you for utilities as
28 the one-hoss shay method.

1 But once again, it's an academic issue because we both
2 conclude that the X factor is zero anyway.

3 We have other issues. In our choice of output
4 measures, I use volumes as outputs. Dr. Lowry uses
5 mixtures of volumes and customers as outputs. That was a
6 large issue. It took up a lot of time, and perhaps a whole
7 afternoon of my cross-examination, and his, in the 2010 to
8 2012 generic proceeding in Alberta. And at the end of that
9 proceeding, the AUC chose my specification of output. But
10 once again, that's an academic consideration because we
11 both come to the conclusion of a zero X factor in this
12 case.

13 MR. CASS: And then the last question, Dr. Makhholm.
14 Could you similarly address the differences, at a high
15 level, between you and Dr. Lowry with respect to stretch
16 factor?

17 DR. MAKHOLM: We differ on stretch factor. That's not
18 academic in this case. And I have to thank, I believe, the
19 VECC, the consumers' coalition, for a data request which
20 allowed us to isolate what the exact nature of the
21 difference is in our stretch factor recommendations between
22 Dr. Lowry and myself. In L1.VECC.1, the consumers
23 coalition asks with they put as a reference my statement
24 regarding what the stretch factor is intended to do. And I
25 draw up on the generic proceeding in Alberta. Alberta is
26 not everything, but Alberta looked at this issue of stretch
27 factor carefully. And I said, as reflected in the
28 reference in L1.VECC.1, that the AUC made three important

1 determinations -- there it is -- regarding the stretch
2 factor that I conclude are reasonable.

3 One, it does not have a definitive analytical source,
4 like a TFP growth study, but relies on a regulator's
5 judgment and regulatory precedent.

6 Two, it has no influence by itself on the incentives
7 for regulated companies to dries cost, no influence.

8 Three, it serves to reflect the, quote, "Immediate
9 expected increase in productivity growth as companies
10 transition from cost of service regulation to a PBR."

11 And that IR asked Dr. Lowry whether he agreed, and he
12 said, quote, "For the most part, no," and these were his
13 reasons, four of them. He says that the stretch factor
14 quantification can be argued on different grounds than
15 those. And they are, one, the ability of stretch factors
16 to strengthen performance incentives, his words.

17 Two, to discourage strategic cost deferrals. Three,
18 to relieve customers of the unfair burden of paying for
19 inefficient operations. And four, to reward superior cost
20 management. Right there.

21 We differ on all those points, and I think it's useful
22 that he laid it out in that way and I appreciate that.

23 First, let's deal with strengthening performance
24 incentives. Dr. Lowry has agreed with me in the first AUC
25 proceeding. You are going to hear about this when Mr. Cass
26 cross-examines him to lay out the inconsistency in the
27 first AUC proceeding that the size of the X factor does not
28 influence incentives, contradicting his statement that the

1 size of the stretch factor strengthens performance
2 incentives.

3 In various places in that proceeding, in ways that
4 will come out on cross, you will see that Dr. Lowry agreed
5 with me in that case that the size of the stretch factor
6 has no influence on the incentives for a company to reduce
7 costs.

8 What about discouraging strategic cost deferrals.
9 Strategic behaviour, gaming the PBR regime was a big deal
10 from 2010 to 2012 in Alberta. And Dr. Lowry stated in that
11 proceeding that another component of PBR, an efficiency
12 carryover mechanism, not the stretch factor, was the way to
13 deal with strategic cost deferrals.

14 On that point, Dr. Lowry supported the efficiency
15 carryover mechanisms as a way to deal with that issue, not
16 stretch factor, and that will also come out on cross.

17 And then the question with rewarding superior cost
18 management. Dr. Lowry has agreed in prior work that the
19 strength of the incentives under a PBR plan is not tied to
20 the magnitude of the X factor, but it's tied to the length
21 of the term of the PBR plan, that is the regulatory lag.

22 These are areas of disagreements that we have over
23 stretch. We are going to talk about it during my cross-
24 examination here. It's going to come up when Mr. Cass
25 cross-examines Dr. Lowry when he gets on the stand, and
26 it's the issue in this case that divides us.

27 And I think the fundamental issue is that there is an
28 objective method for analyzing stretch. It's bigger than

1 Alberta. It's bigger than Ontario. It is part of the
2 economics of performance-based regulation. And in the
3 economics of performance-based regulation, the stretch
4 factor comports with the conclusions that the AUC came with
5 in its generic case, as I agree, not with the conclusions
6 that Dr. Lowry has offered to support his stretch factor of
7 .3 in this case.

8 MR. CASS: Thank you, Madam Chair. That's the
9 examination in-chief of the panel.

10 MS. ANDERSON: Okay, thank you. Mr. Millar, you are
11 up for Staff?

12 **CROSS-EXAMINATION BY MR. MILLAR:**

13 MR. MILLAR: Thank you, Ms. Anderson. Good morning,
14 panel. Dr. Makholm, welcome to Toronto.

15 Madam Chair, we filed a compendium that we will be
16 using as an aid to cross-examination. It is called OEB
17 Staff cross-examination compendium, panel 4. I believe you
18 have copies on your desk up on the dais. So I propose to
19 call that Exhibit K4.1.

20 **EXHIBIT NO. K4.1: BOARD STAFF CROSS-EXAMINATION**
21 **COMPENDIUM FOR PANEL 4**

22 MR. MILLAR: Most of these documents are already on
23 the record -- actually, a number of them are not on the
24 record, but they were all provided to the panel beforehand
25 and I believe they are all documents familiar to the panel,
26 in any event.

27 Okay. I'll start with the discussion of the stretch
28 factor, since you've just finished with your examination-

1 in-chief on that topic, Dr. Makholm, although my questions
2 aren't just for you; they will be for the entire panel, I
3 think.

4 Just to summarize, as you've discussed, the chief
5 difference between your work and Dr. Lowry's work in this
6 proceeding is that you recommend either no stretch factor
7 or a stretch factor of zero, depending on how you want to
8 define it, and Dr. Lowry recommends a stretch factor of
9 0.3. Have I got that right?

10 DR. MAKHOLM: Yes.

11 MR. MILLAR: Is your microphone on, sir?

12 DR. MAKHOLM: It was not. It is now.

13 MR. MILLAR: Thank you. Sorry, if you could just
14 repeat your answer.

15 DR. MAKHOLM: Yes.

16 MR. MILLAR: And in your view, as you've discussed
17 both in your examination in-chief and in your report,
18 purpose of a stretch factor is chiefly to reflect expected
19 productivity growth due to the heightened incentives that
20 accompany a transition from a cost of service regime to an
21 IRM or PBR regime. Is that fair?

22 DR. MAKHOLM: Well, I would say, in terms of the
23 economics of PBR, it is not chiefly, it's solely that
24 purpose.

25 MR. MILLAR: Okay. Thank you for that. I'm going to
26 use the terms IRM and PBR interchangeably, if you don't
27 mind. I know it is typically PBR everywhere else, but we
28 call it IRM. I think we're talking about essentially the

1 same thing. So at least for my purposes, I will use those
2 terms interchangeably.

3 So as I understand it, it is chiefly -- not chiefly;
4 in your words, it is meant solely to accompany the
5 transition from cost of service to PBR, and I understand it
6 that its purpose is to allow some of these early
7 efficiencies to be shared with ratepayers right from the
8 get-go; is that its function?

9 DR. MAKHOLM: Well, if you don't -- am I on?

10 MR. MILLAR: Yes.

11 DR. MAKHOLM: Let me put it my way: Under cost of
12 service we have data for companies, and we can measure it
13 every year, and under cost-of-service regimes we assume
14 that the incentives for companies are different than the
15 incentives under IRM regimes, and the gentlemen to my right
16 can tell you what those new incentives are, which means
17 that as we look at the data, historical data, before we
18 introduce IRMs, the data for the company don't have those
19 incentives reflected in the productivity that we measure,
20 because those incentives weren't there.

21 But we know that after we invoke IRM, these new
22 incentives will be there, and we expect that the data that
23 we measure in the years afterwards will reflect a different
24 kind of behaviour on the part of management.

25 The stretch factor is our way of looking back at the
26 data that's -- we collect under a cost-of-service regime
27 and hypothesize what it would have looked like if we had
28 been measuring an IRM data set, not a cost-of-service data

1 set.

2 And that is the only purpose of the stretch factor, is
3 to anticipate what those data would have looked like had
4 the IRM been in place during those years that we were
5 measuring the data, because the cost-of-service regime has
6 more torque with incentives.

7 MR. MILLAR: Okay. But --

8 DR. MAKHOLM: And that's the thing, that's the role of
9 the stretch factor, to anticipate what's going to happen as
10 we move from cost of service to IRM, reflecting the fact
11 that the data we were looking at before the IRM didn't have
12 those incentives in them.

13 MR. MILLAR: My simple question was whether the
14 purpose of the stretch was to allow you to share these
15 efficiencies with ratepayers from the get-go?

16 DR. MAKHOLM: But IRM is all a purpose of --

17 MR. MILLAR: I'm asking about the stretch factor.

18 DR. MAKHOLM: -- (inaudible) efficiencies so that
19 consumers can enjoy the benefits of them. That's what
20 we're here for, is to --

21 MR. MILLAR: That's a yes?

22 DR. MAKHOLM: -- is to do -- yes, it is. I want to
23 just say all of these things, the X factor, the stretch,
24 the timing, all is there to be a part of an IRM regime that
25 is there to benefit ratepayers.

26 MR. MILLAR: Okay. I'd like to move on to some of the
27 Board's history with the stretch factor both in the
28 electricity sector and in the natural gas sector.

1 Let's start with electricity, because that's where
2 some of the Board's policies were -- have been laid out
3 more thoroughly. First of all, can we agree, and any of
4 you witnesses, that the Board's been doing IRM for
5 electricity for many years? We are on, what is it, fourth-
6 or fifth-generation IRM now?

7 MR. CULBERT: Yes, we understand that.

8 MR. MILLAR: Okay. And for -- at least for
9 electricity utilities, the Board currently uses stretch
10 factors and always has?

11 MR. CULBERT: Yes, that's our understanding the --

12 MR. MILLAR: Okay.

13 MR. CULBERT: -- Board uses stretch factors in the
14 electrics, yes.

15 MR. MILLAR: And Dr. Makholm, I believe in your
16 testimony, certainly in the technical conference and
17 perhaps elsewhere, you suggest that the Board isn't
18 necessarily wrong to have stretch factors in electricity,
19 but that they serve a different purpose in electricity, and
20 it's not what you consider a true stretch factor; have I
21 got that right? I don't want to you repeat everything from
22 the tech conference, but if you have a -- if you want to
23 elaborate on that slightly that's fine. I just want to
24 make sure I understand your position.

25 DR. MAKHOLM: I'm sure we'll get there. I don't have
26 to elaborate at this point. The answer is, yes, it's a
27 different purpose. If it had been called by a different
28 term, like a reward or something else, we might not have

1 the confusion that we have in this case with respect to the
2 term "stretch" and what it's for.

3 MR. MILLAR: Okay, thank you.

4 All right. Let's review what the Board has said over
5 the years with respect to a stretch factor.

6 Can we turn to tab 1 of the compendium, please. This
7 is the Board's -- the report of the Board, the third-
8 generation IRM handbook or report in any event.

9 If we turn to page 12 of that document, which I think
10 is probably page 5 of the PDF, yes, you will see there is a
11 section on productivity and stretch factors, and the final
12 paragraph there states:

13 "The stretch factor component of the X factor is
14 intended to reflect the incremental productivity
15 gains..."

16 DR. MAKHOLM: Excuse me, I don't mean to butt in --

17 MR. MILLAR: Yes.

18 DR. MAKHOLM: -- but you said the last paragraph on
19 page 12?

20 MR. MILLAR: No, I'm sorry, the last paragraph under
21 section 2-point -- it's the third -- the third paragraph
22 there that starts "the stretch factor". You can see it
23 highlighted. It's right in the --

24 DR. MAKHOLM: Okay. I've got it.

25 MR. MILLAR: Yes, I'm sorry. It states:

26 "The stretch factor component of the X factor is
27 intended to reflect the incremental productivity
28 gains that firms are expected to achieve under IR

1 and is a common feature of IR plans. These
2 expected productivity gains can vary by company
3 and depend on the efficiency of a given company
4 at the outset of the IR plan."

5 So we see there this is the Board's first statement on
6 this, which is third-generation IRM. Doesn't this suggest
7 that at least in the Board's reading the stretch factor
8 seems to serve a purpose more akin to an ESM or something
9 like that?

10 DR. MAKHOLM: No, I mean the term "incremental" in the
11 first line, "incremental productivity gains the firms are
12 expected to achieve under IR", "incremental" has to be
13 referring to something else, and so it would be referring
14 to cost of service, so I think that this statement agrees
15 with what I've said.

16 MR. MILLAR: Even though this is a third-generation
17 IRM plan that we're discussing here?

18 DR. MAKHOLM: Third or not, that statement appears to
19 me to be true and consistent with what I said.

20 MR. MILLAR: Let's turn to the next page in the
21 compendium, which is page 20 of that same report. You will
22 see here there's a section on the stretch factor, where it
23 states, starting with the second sentence there:

24 "The Board believes that stretch factors are
25 required in third-generation IR and is not
26 persuaded by the arguments that stretch factors
27 are only warranted immediately after distributors
28 switch from years of cost-of-service regulation

1 to IR. Productivity stretch factors promote,
2 recognize, and reward distributors for efficiency
3 improvements relative to the expected sector
4 productivity trend. Consequently, stretch
5 factors continue to have an important role in IR
6 plans after distributors move from cost-of-
7 service regulation."

8 Doesn't that suggest the Board takes a different view
9 than you do with respect to whether stretch factors are
10 appropriate immediately after switching from cost of
11 service?

12 DR. MAKHOLM: I don't think that that is inconsistent.
13 If you conclude -- and I have to say that the "not
14 persuaded" quote comes up four or five times in the
15 demonstrables that you've set out, and it always refers to
16 the Board's discussion of its job of dealing with a
17 regulatory burden that other regulators in North America
18 don't share, which is the burden of dealing with the
19 distributors that it's talking about here, the electricity
20 distributors.

21 The group of companies now that I think reflect -- 69
22 at last count, but 22 years ago was 306 -- mostly municipal
23 distributors. I have to say that is a unique burden for a
24 regulatory board in North America. No one else has that
25 burden.

26 To the extent that you've dealt with it efficiently,
27 you are to be congratulated, but these statements that I've
28 been provided in the demonstrable, where the Board has

1 talked about what it's doing with those distributors, it's
2 talking about the electricity distributors, and it's
3 talking about its job to provide some sort of compact and
4 reasonably effective and doable plan of regulation for
5 those scores of mostly municipal distributors. And in that
6 respect, I think that what it's done is fine, but it's not
7 talking here, in my opinion, about the two investor-owned
8 gas companies that are in front of us in this proceeding.
9 I think --

10 MR. MILLAR: Well, why --

11 DR. MAKHOLM: -- that they're different.

12 MR. MILLAR: Why do you need a stretch factor to --
13 just because -- let's say there's 60, 70, 80, however many
14 LDCs. Why is a stretch factor necessary to encourage
15 efficiencies there? There are things like the ESM and the
16 X factor itself. What type of stretch factor --

17 DR. MAKHOLM: The question -- the question for the
18 premise is why is a stretch factor necessary, and it's not
19 necessary for the electrics. All the electrics -- the
20 electric distributors in this province have a choice of
21 whether to take the stretch factor or not. It's not an
22 imposition. It is a choice of one of three different
23 regimes that they've got under -- they can choose the
24 categorization that comes from the statistical
25 benchmarking, they can use a custom regime, or they can
26 choose something that looks to me like a cost-of-service
27 regime.

28 So it's not necessary, it is just an option for the

1 distributors. But there is another element in here, in all
2 those quotes that you mention with respect to "not
3 persuaded", and that is a reward for the companies for
4 performing well according to the group, and the group are
5 the scores, formerly hundreds, of electricity distributors
6 in Ontario. And that's a uniquely Ontario electricity
7 distribution issue, measuring that cohort among themselves,
8 in terms of who performs well or doesn't perform well,
9 according to some statistical benchmark, with that being
10 the group, now 69, formally 300 distributors.

11 That's a task that doesn't go into the investor-owned
12 distributors in this state, of which there are two for gas.

13 My conclusion about these issues is it's uniquely and,
14 for someone like me looking into Ontario from outside,
15 obviously a function of the unusual burden that the Board
16 has of dealing with so many small distribution companies
17 that reflect something almost assuredly less than the
18 minimum efficient scale of low-cost efficient distributors
19 in the rest of North America.

20 MR. MILLAR: Okay, let's keep this moving. If we
21 could turn to tab 2, please, and this is the supplemental
22 report of the Board under third generation IRM.

23 I don't want to spend a lot of time on this, because I
24 think it will start to become repetitive. But you will see
25 there this is the supplement report on the Board, again for
26 third generation. If you look at the bottom of page 19 --
27 which is page 10 of the PDF, I believe -- you will see
28 "Board policy and rationale":

1 "It is important to note that stretch factors are
2 consumer benefits. They are somewhat analogous
3 goes to earnings-sharing mechanisms, although
4 stretch factors take effect immediately with the
5 application of the formula and are not dependent
6 on the realization of any productivity gains or
7 excess earnings, as would be the case with an
8 earnings-sharing mechanism."

9 And why don't I move on to the next page, page 21.
10 You will see at the top of that page, again page 12 of the
11 PDF:

12 "The Board also believes that it is important
13 that a stretch factor be sufficient to influence
14 distributor behaviour over the course of the
15 plan."

16 And again, I am being a bit repetitive here, Dr.
17 Makhholm, and just in the interest of time, hopefully we
18 don't have to go over the same answers again.

19 After seeing that, do you have anything to add
20 based -- to what you've already noted about stretch factors
21 in the electricity sector?

22 DR. MAKHOLM: No, which is to say that the context of
23 those orders was the burden of dealing with electricity
24 distributors. The idea that -- just if I may add one or
25 two sentences; I don't want to go on -- the idea that a
26 stretch is of benefit for consumers is obviously true. Any
27 time you transfer funds by any mechanism away from
28 companies to consumers, it is a benefit to consumers, at

1 least at that time.

2 But as the AUC said in its proceeding, that movement
3 of money via the stretch factor from companies to consumers
4 does nothing to effect the incentives of the company to be
5 efficient. It is not one of those things. It is
6 different.

7 If you've got scores of electricity distributors,
8 where you give them the option to use that kind of plan to
9 file their cases in a logistically efficient fashion. But
10 that regime, in my testimony and in all my answers here,
11 and in my responses to these demonstrables, says that it's
12 different than the regime facing the gas distributors in
13 Ontario.

14 MR. MILLAR: I want to follow up on that point with
15 you. You state it doesn't serve as an incentive to cut
16 costs for the utilities. I may have mischaracterized you
17 slightly there, but that's the gist of it.

18 If you squeeze someone on revenue, why does that not
19 encourage them to be more efficient?

20 DR. MAKHOLM: If you squeeze somebody on revenue with
21 no principle, and no method and no economics, they are not
22 going to go after any revenue.

23 MR. MILLAR: Why wouldn't they?

24 DR. MAKHOLM: Because they are going to be taken from
25 you. If -- that's like having a cost of service regime
26 every time that they do something that's useful to cut
27 costs.

28 If you're going to squeeze them every time they save a

1 nickel on their cost of service, they are not going to go
2 after the nickel.

3 MR. MILLAR: But you are squeezing them before they've
4 saved a nickel here.

5 DR. MAKHOLM: No. An IRM with an X factor, which I
6 tried to demystify in my testimony, the X factor is only
7 there to determine whether or not you can use the
8 Statistics Canada inflation measures without adjustment,
9 and I conclude that you can. You don't need an X factor
10 that. That inflation measure, which is absolutely
11 necessary for a multi-year IRM plan, is good enough for us.

12 That's a principled method for lengthening regulatory
13 lag, so that these gentlemen to my right can invoke
14 efficiency regimes in their respective divisions to lower
15 their costs, and to make money until such time they do a
16 rebasing.

17 If you are squeezing them -- there is no squeeze
18 involved in that. There is a principled lengthening of
19 regulatory lag under a firm set of rules that they
20 understand where if they've saved money, they can make
21 money in the intervening years before the next rebasing.

22 If a stretch factor in their context -- not the
23 electrical context, different. If the stretch factor in
24 their context is just an opportunistic grab of .3 per year
25 with no principled basis, it is a squeeze and it does
26 nothing for their anticipation of profiting by lowering the
27 cost of their enterprise, nothing.

28 And that's what experts in this business all agree to,

1 and did in the generic proceeding in AUC including, Dr.
2 Lowry back there.

3 MR. MILLAR: I guess we'll see about that on cross-
4 examination, as you've promised. I do want to keep things
5 moving.

6 Let's turn to tab 3, please. This is the Board's
7 fourth generation report on the IRM.

8 DR. MAKHOLM: For the electricians.

9 MR. MILLAR: Yes, for the electricians. This is all for
10 the electricians so far. I'll get to gas, don't worry.

11 So on page 26 of that report, which is page 15 of the
12 PDF -- again, we're hearing a lot of the same things here,
13 but this shows that as a fourth generation anyways, the
14 Board is stating:

15 "In its RRF report, the Board determined that its
16 approach in relation to the use and assignment of
17 stretch factors under third generation IR will
18 continue."

19 And it continues:

20 "The Board believes that stretch factors will
21 continue to be required, and is not persuaded by
22 arguments that stretch factors are only warranted
23 immediately after distributors switch from years
24 of cost of service regulation to IR."

25 And then it continues in much the same vein as we've
26 discussed. And indeed, if you turn to tab 4, this is, I
27 believe, the -- this is the final report of the Board under
28 fourth generation IRM.

1 You will see at page 18, both of the report and
2 coincidentally the PDF, they discuss stretch factor again.
3 And rather than take the time read all this, I think we can
4 simply take it -- and you can review it at your leisure, if
5 you wish -- but it's saying more or less the same thing
6 that I've just been reading to you for the last ten
7 minutes.

8 And again, I take you to these only to show the
9 Board's thinking on this, at least as recently as the
10 fourth generation IRM plan. Is there anything that we've
11 seen there that alters the answers that you've already
12 given?

13 DR. MAKHOLM: No. As I've said, the "is not
14 persuaded" is boilerplate that's used in multiple
15 electricity IRM decisions having to do with the unique task
16 that the Board has before it to regulate scores of
17 Distributors that are small and municipally-owned
18 throughout the province.

19 Being also -- and I have to add the one thing, being a
20 choice for those electricity distributors among three; not
21 in a position, but a choice.

22 MR. MILLAR: Can we turn back to page 26 of the PDF,
23 please -- pardon me, page 15 of the PDF. This is again
24 from the fourth generation report, and I just take us here
25 because you'll see at the bottom of that first paragraph it
26 says:

27 "However, the Board in its RRF report concluded
28 that it will make stretch factor assignments

1 under price cap IR under the basis of total cost
2 benchmarking evaluations."

3 And I think you were touching on this, Dr. Makholm.

4 Let me ask the witnesses from the utilities this
5 question. Do you do benchmarking against other North
6 American gas utilities?

7 MR. KITCHEN: No.

8 MR. MILLAR: Could you?

9 MR. KITCHEN: Well, let me start by saying when I said
10 no, we do look at ourselves relative to other utilities in
11 areas of safety and such through associations. But we don't
12 do the type of benchmarking I think the Board was
13 contemplating here.

14 And we don't do it because, for one, at least in the
15 Union case, Union is a -- not just a distribution utility,
16 it is a distribution storage and transmission utility with
17 an unregulated business as well. And from our perspective,
18 benchmarking ourselves against other utilities gas is very
19 difficult, if not impossible.

20 And it's not like the electrics, which are easy to
21 benchmark because they all basically have the same
22 business.

23 MR. MILLAR: Is OPG easy to benchmark?

24 MR. KITCHEN: I don't know.

25 MR. MILLAR: Are you familiar that OPG does extensive
26 cost based benchmarking?

27 MR. KITCHEN: I am aware of that.

28 MR. MILLAR: And OPG has multiple businesses?

1 MR. KITCHEN: I'm aware that they do, but I don't
2 believe that changes my answer relative to Union.

3 MR. MILLAR: Fair enough. They also have unregulated
4 business as well as regulated business, OPG -- or do you
5 know that?

6 MR. KITCHEN: I don't know that.

7 MR. MILLAR: Have you ever retained anyone to assist
8 you to see if benchmarking was reasonable or possible for
9 Union?

10 MR. KITCHEN: Not to my knowledge.

11 MR. MILLAR: Thank you. Mr. Culbert, do you have a
12 different answer?

13 MR. CULBERT: Different than Union, yes, we were going
14 to perform a benchmarking analysis as part of a custom IR
15 application, which our understanding of the Board's utility
16 rate handbook was an important aspect of a custom IR
17 application at a point in time, as you're aware. We
18 reached a conclusion that we are filing this MAADs
19 application and determined that that benchmarking study
20 wasn't a necessity because we weren't doing a cost-of-
21 service rebasing and therefore wouldn't be as informative
22 as it would have been in a custom IR application, so what
23 we've provided is the total factor productivity
24 benchmarking analysis that Dr. Makholm has produced.

25 MR. MILLAR: Okay. Thank you. I do need to keep
26 moving, because I'm conscious of the time.

27 Let's turn to the Board's history with respect to
28 stretch factor and the gas utilities. As we have

1 discussed, the gas utilities have been under one form or
2 another of IRM for many years, since about 1999; is that
3 correct?

4 MR. CULBERT: Yes, for EGD about 13 years, I think.

5 MR. KITCHEN: I think we're about 15 years.

6 MR. MILLAR: Okay. And I recognize that there have
7 been various iterations, but one way or another, it has
8 been IRM/PBR.

9 Let's turn to tab 11, if you don't mind. This is the
10 handbook for utility rate applications. And you've
11 referenced this in your evidence. This document reflects
12 the continuation of the renewed regulatory framework and
13 applies equally to all regulated utilities, including gas;
14 is that correct?

15 MR. CULBERT: Yes, that's correct.

16 MR. MILLAR: And then if we flip to the next page,
17 which is page 16 of the document, page 53 of the PDF, I
18 didn't include the header to this section which appeared on
19 a few pages earlier, but the header for this section is
20 "the OEB's review of the key components of rate
21 applications", so this is for both gas and electricity.

22 And if we look to the page that I have on the screen,
23 if you scroll down just a little, in the bolded section it
24 says:

25 "In reviewing a utility's proposed outcomes and
26 performance metrics, the OEB's key considerations
27 are..."

28 And in the fourth bullet point:

1 "Performance metrics which will accurately
2 measure whether outcomes are being achieved, and
3 which include stretch goals to demonstrate
4 enhanced effectiveness and continuous
5 improvement."

6 Isn't this the Board saying that stretch factors are
7 required for gas utilities?

8 DR. MAKHOLM: But not to me.

9 MR. MILLAR: How --

10 DR. MAKHOLM: Is my mic on?

11 MR. MILLAR: It is.

12 DR. MAKHOLM: Oh, no, not to me.

13 MR. MILLAR: Okay.

14 DR. MAKHOLM: And it's easily -- it's easy for someone
15 like myself to look at this and conclude that it has to do
16 with the OEB's job of measuring what it measures
17 statistically for the electricity distributors in its --
18 under its charge.

19 But this type of phrasing does not comport with my --
20 or other expert's understanding of how you deal with
21 idiosyncratic, unique, uniquely situated, large investor-
22 owned companies under an IRM or PBR regime.

23 MR. MILLAR: See, what I'm hearing, Dr. Makholm, is
24 that you -- is not that the Board isn't saying there should
25 a stretch for gas; you are just saying you disagree with
26 that conclusion.

27 DR. MAKHOLM: No, no, I don't disagree with the Board.
28 And there is nothing in the repeated recitations of that

1 "we are not persuaded" boilerplate that goes into a number
2 of board decisions, all of which is correct, with respect
3 to the burden of regulating electricity distributors. I
4 have no quibble with that. And I think that they've
5 effectively dealt with a singular problem among regulators
6 in North America. No one else has that problem that you
7 all do, but if there's any criticism of mine, it's not the
8 Board's treatment of its electricity distributors, it's
9 Ontario's failure represented by the discussion that we're
10 having right now to recognize that that job is different
11 than the job of regulating two large investor-owned gas
12 distributors, and that failure, to distinguish between the
13 two, which I conclude Dr. Lowry has capitalized on, to
14 smudge the distinction and to propose a .3 stretch factor
15 that has no logical or principal basis under PBR theory.
16 That's my criticism in this case, not the -- not this
17 language at all.

18 MR. MILLAR: Dr. Makholm, I have no problem with you
19 not supporting what the Board has said here, but we've
20 already gone over this -- the document that we're looking
21 at right now is for gas and electricity, and it says on its
22 face there should be a stretch, so if you disagree that
23 that should be the case, that's all fine, but my question
24 here is: Does anyone disagree that the Board has said
25 there should be a stretch factor for the gas utility?

26 MR. KITCHEN: I disagree, Mr. Millar.

27 MR. MILLAR: Okay.

28 MR. KITCHEN: And I'll tell you why I disagree,

1 because when I read what's in bold in front of me, and it
2 talks about stretch goals, it doesn't talk about stretch
3 factor, and if I read the paragraph above it says:

4 "Other utilities (natural gas utilities, electric
5 transmitters, and OPG) should establish
6 performance metrics which are directly linked to
7 the identified outcomes related to their business
8 plans. These performance metrics will generally
9 be part of a set of performance measures that the
10 utility has proposed as a performance scorecard
11 (discussed in the next section) and as part of
12 our '19 rates application we will be bringing
13 forward a utility system plan."

14 We will be -- that's how I read that section. I look
15 also at the fact that both utilities have been under PBR or
16 IRM for, as you mentioned, you know, let's say 15 years,
17 just to pick a number, and we both have implemented
18 significant changes over that time. We've managed the
19 utilities, the low-hanging fruit is gone, and now where we
20 have the best opportunity for actually achieving savings is
21 through the amalgamation. It's not through the -- through
22 the base business at this point.

23 MR. MILLAR: The plan that you propose is a price cap
24 incentive, rate-setting plan?

25 MR. KITCHEN: That's correct.

26 MR. MILLER: I'm sorry, this isn't in the compendium,
27 but I believe Ms. Adams has the rate handbook handy. I
28 only have the one page here. Could we turn to -- it's

1 page, I guess it's page 41 of the PDF. This is the
2 definition section. You can see price cap incentive rate-
3 setting, which we've just agreed you are applying under,
4 and if you start with the second sentence, this is how the
5 Board has defined it:

6 "The formula adjusts current rates for the
7 following year by inflation in input prices (cost
8 of production or service) less expected
9 productivity improvements, including a stretch
10 factor (or consumer productivity dividend)."

11 Again, hasn't the Board been very clear on this?

12 MR. KITCHEN: Again, the -- included from my
13 perspective, the inclusion of a stretch factor is not an
14 automatic. Just because the definition talks about a
15 stretch factor, the stretch factor can be zero. We are in
16 a situation where we have been in PBR, as I said, for a
17 number of years. The low-hanging fruit is gone, and we are
18 now entering a situation where there are additional savings
19 that have come through the amalgamation, but it does not
20 come through anything else.

21 So in fact, a stretch factor of .3 is a significant
22 burden. It would take our -- in order to achieve an
23 allowed ROE that we've projected, we need to have over a
24 billion dollars in savings as a result of such a stretch
25 factor. And I'm -- that's just not reasonable, from our
26 perspective.

27 MR. MILLAR: You've overearned every single year for
28 the last ten years, both of you? Mr. Shepherd's compendium

1 from day 1 had a chart that set that out. We could pull it
2 up if we had to, but do you dispute that?

3 MR. KITCHEN: We have either been in earnings sharing
4 or above the allowed, yes.

5 MR. MILLAR: Okay. And so what -- we're maybe
6 overusing the fruit metaphor, but did you just pick the
7 last piece now, or will there be any left for next year?

8 MR. CULBERT: There might be some raisins left rather
9 than grapes.

10 [Laughter]

11 MR. MILLAR: Okay, maybe I'm getting into argument.
12 Let's not belabour that metaphor any further than we need
13 to.

14 Okay. Could we turn to tab 5, please. I want to
15 stick with the gas utilities. This is Union -- this is the
16 settlement agreement that gave rise to your current IRM
17 plan; is that correct, Mr. Kitchen?

18 MR. KITCHEN: Yes, it is.

19 MR. MILLAR: Okay, and if we turn to page 12 of that
20 document, which is page 24 of the PDF, and there is a
21 discussion on the productivity factor -- at the bottom,
22 yes, thank you. And it states:

23 "The annual productivity factor (X factor) in
24 this agreement is expressed as a percentage of
25 inflation."

26 So you did something a bit new there. What you did
27 was, instead of a specific X factor number you took -- you
28 instead decided to accept 40 percent of GDP IPI FDD as your

1 inflation factor?

2 MR. KITCHEN: That's correct. That was the result of
3 settlement.

4 MR. MILLAR: Yes, that's right. That's what you
5 settled to, and the Board approved that.

6 MR. KITCHEN: Yes.

7 MR. MILLAR: And if we look at the last sentence
8 there, it says:

9 "Together, the upfront productivity commitment
10 described in section 1.2.2 and the X factor are
11 inclusive of a stretch factor."

12 So is it fair to say that you have a stretch factor in
13 your current plan?

14 MR. KITCHEN: I don't actually read it that way. The
15 way I read that is that we did not separately negotiate the
16 X factor and the stretch factor. It is just a combination
17 of numbers. There is no quantification.

18 MR. MILLAR: Oh, I agree with that, I agree with that.

19 MR. KITCHEN: And that's all that was intended to
20 reference.

21 MR. MILLAR: But you are specifically referencing that
22 this haircut you are taking on the I factor on inflation is
23 inclusive of productivity and a stretch factor; it's both.

24 MR. KITCHEN: Actually, I don't think I'm -- what I'm
25 saying is there was no separate identification of a stretch
26 factor, and that's all the settlement agreement shows.

27 MR. MILLAR: It says it includes a stretch factor.
28 Well, it says what it says, so maybe we can leave that for

1 argument.

2 MR. CULBERT: I think it's important to note, too, Mr.
3 Millar -- and I know we've discussed this before -- those
4 are the rates at 40 percent of inflation that the Union
5 rate zone customers will be experiencing, plus inflation
6 going forward in the price cap. So those base rates are at
7 this level.

8 MR. MILLAR: Yes, that's right. I understand that.
9 Okay, thank you.

10 Why don't we turn to Enbridge, Mr. Culbert, since you
11 -- okay, I believe it's tab 7 for Enbridge.

12 Like Union, you've been under IRM for many years. But
13 unlike Union, you are currently under a custom IR plan, is
14 that correct?

15 MR. CULBERT: That's correct.

16 MR. MILLAR: And custom IR generally incorporates both
17 IRM features and some cost of service elements. Is that a
18 fair, high level description? It is a five-year plan that
19 has the --

20 MR. CULBERT: Yes, it's been, I'll say redefined by
21 the Board in the RRF update. But it's a five-year
22 projection of costs. It's to include a total factor
23 productivity study for determining a productivity factor to
24 be used in a custom index, and a first year, as you point
25 out, cost of service rebasing inside of that five-year
26 projection of cost. Yes, that's my understanding.

27 MR. MILLAR: But over the five years, it is at least
28 partially cost-based, right? That's why there is some cost

1 of service analysis for each year?

2 MR. CULBERT: Yes. But the Board, in the custom IR,
3 requires that you file a five-year cost projection, but
4 also inclusive of a total factor productivity study which
5 would formulate or inform the X factor portion of
6 developing a custom index for use going forward.

7 It is not simply the use of cost projections, from my
8 understanding for custom IR.

9 MR. MILLAR: No, I think we agree. Thank you for
10 that.

11 If we could turn to tab 7, this is the Board's
12 decision in EB-2012-0459. This is the decision that
13 approved the rates that you are currently under, is that
14 correct?

15 MR. CULBERT: That's correct.

16 MR. MILLAR: Okay. Could we turn to page 47 of that
17 decision, which is page 33 of the PDF?

18 This is a discussion by the Board about productivity
19 as it appeared in your application, and if you look at that
20 middle paragraph that starts "One of the specific
21 measures," that states:

22 "One of the specific measures which Enbridge incorporated
23 into its budgets was the requirement that the FTE level be
24 held flat over the IR term. Enbridge maintained that its
25 use of flat FTEs represented an embedding of productivity
26 and a stretch factor."

27 So although there is no stretch factor number in your
28 application -- or your current plan, similar to Union,

1 there is an implicit stretch factor in there, is that fair?
2 Or at least that's what you are proposing?

3 MR. CULBERT: I would say embedded in the productivity
4 element that the Board decided on, they concluded there was
5 an element of stretch in that productivity factor, yes.

6 MR. MILLAR: Well, not just the Board concluded that;
7 you concluded that. That was your proposal.

8 MR. CULBERT: Our proposal was that we had embedded
9 productivities ...

10 MR. MILLAR: Including stretch.

11 MR. CULBERT: I would have to go back to our evidence
12 to confirm that.

13 MR. MILLAR: Fair enough. We can agree that's at
14 least how the Board characterized it. The Board is
15 summarizing your position there.

16 MR. CULBERT: That's right. So without me reviewing
17 the evidence per se, I can't say that we noted it that way.
18 But that's what the Board concluded, that embedded in the
19 productivity was some sort form of stretch -

20 MR. MILLAR: Okay, fair enough.

21 MR. CULBERT: -- relative to the misgivings of the
22 application.

23 MR. MILLAR: So it seems to me -- and maybe you'll
24 disagree with this, but we have PBR/IRM plans for the
25 utilities stretching back 13, 15 years, something like
26 that. And as of today in 2018, we still have at least an
27 implicit stretch factor for both Union and for Enbridge.
28 And that suggests to me that both in the Board's view and

1 indeed the company's view, stretch is not just for the
2 transitional period.

3 Do you have any -- am I wrong about that?

4 MR. KITCHEN: I'm not going to speak to the
5 transitional nature of it, Mr. Millar. I think that's for
6 Mr. Makhholm.

7 But I can say that at least in Union's case, the
8 termination of the X factor was done through negotiations,
9 and it was not -- it was not from an acceptance of a
10 numeric stretch factor. We were merely acknowledging that
11 there was nothing more than that productivity factor that
12 would be used for the setting of rates.

13 MR. MILLAR: Okay. Mr. Culbert, do you have anything
14 to add?

15 MR. CULBERT: No.

16 DR. MAKHOLM: No.

17 MR. MILLAR: As you've discussed in several places in
18 your evidence and through the IRs in the technical
19 conference, at least as a general matter, in most cases
20 you've adopted the Board's rate handbook and the Board's
21 policies as they've applied to electricity in preparing
22 your application.

23 And just some examples, ESM is consistent with the
24 Board's -- with both the rate handbook and what the Board
25 does for electricity. ICM would be similar, Z factors, is
26 that fair? You've just adopted what the Board said in the
27 rate handbook?

28 MR. CULBERT: Yes, we've adopted what the Board allows

1 there.

2 MR. MILLAR: Mr. Culbert, is your mic on? I'm having
3 a little -- maybe if you could just speak -- we're a long
4 ways away, unfortunately, and I'm having trouble hearing
5 you.

6 Okay, I think I heard that, so I think it was a yes.

7 MR. CULBERT: It was a yes.

8 MR. MILLAR: So as you discussed with Ms. Girvan on
9 day one, and I think some others through interrogatories,
10 for Z factors, in fact you went with the rate handbook even
11 though your current plans both have higher thresholds for a
12 Z Factor. It's a million dollars if you follow the trail
13 in the rate handbook, but currently you are at something
14 like \$1.5 million and \$4 million, is that's correct?

15 MR. CULBERT: Yes, if you turn up Exhibit C, Staff 23.

16 MR. MILLAR: Yes, that's right. And we have that in
17 our compendium, I think at tab 12.

18 Essentially, what you've done is whenever you had a
19 question, you just looked at the rate handbook and did
20 whatever that said. Is that fair?

21 MR. KITCHEN: Well, I don't think that --

22 MR. MILLAR: Maybe that's too simple.

23 MR. KITCHEN: I think that's fairly simplistic. But
24 what we did is we went to the rate handbook for the Z
25 Factor. Yes, I acknowledge that both Union and EGD have
26 thresholds that are larger than what we're proposing.

27 But you have to remember, Mr. Millar, those thresholds
28 were also established through settlement agreements, prior

1 to the handbook being in place. And even with a threshold
2 of a million dollars, we still have to meet all the
3 criteria.

4 It's not as simple as we exceed a million dollars and
5 we get Z Factor recovery. So that's ...

6 MR. MILLAR: That's a fair comment.

7 MR. KITCHEN: So from my perspective, the fact that
8 Amalco is a new entity and the Z factor is no longer being
9 created through settlement negotiation, there is nothing
10 preventing us from using the handbook, and in fact I think
11 it's appropriate.

12 MR. MILLAR: Okay, that's fair enough, and we heard
13 your evidence before Ms. Girvan.

14 But I guess what strikes me is when it comes to
15 Z factor, even though you currently have different
16 thresholds that are much higher and you are going to be
17 much bigger than any of the electricity LDCs, you were
18 happy to go with what the rate handbook said and use
19 a million dollars. Under stretch factor, even though it
20 seems clear to me at least, that the Board says in several
21 instances that stretch factor is supposed to apply to gas,
22 you didn't do it for gas. And in fact, you retained an
23 expert to say why you didn't have to do it -- I shouldn't
24 say you retained him for that purpose. You retained an
25 expert who has said that you shouldn't have to have a
26 stretch factor for gas.

27 So I'm curious as to why you went a different path for
28 stretch than Z.

1 MR. KITCHEN: I don't think you can characterize it
2 that way, or at least I wouldn't characterize it that way.

3 What we've done is we've retained Mr. Makholm to do a
4 total factor productivity study that would set Amalco with
5 an X factor. The fact that Mr. Makholm doesn't support the
6 stretch factor is a result of Mr. Makholm's expertise and
7 study.

8 We don't believe that an X factor is necessary for us.
9 In fact, all we're saying is that the X factor should be
10 zero.

11 We have been through -- I don't want to repeat myself
12 because it's just going to be several times on the record.
13 But we have been through a number of years of PBR or IRM
14 and the efficiencies that we were able to achieve as
15 separate companies are largely -- are largely gone now, and
16 now the efficiencies will be through the amalgamation.

17 So the base business doesn't have that level of
18 efficiency to give.

19 MR. MILLAR: Okay, let's keep moving. Dr. Makholm, I
20 know you've referenced many times in your evidence in the
21 technical conference, the IRS and in your examination in-
22 chief, the AUC generic decision from 2010 to 2012.

23 I know you're familiar with that case. And you use it
24 to support your position or at least in part to support
25 your position that X factors generally should just be for
26 the first-generation PBR; is that fair?

27 In the interests of time I ask you not to repeat all
28 that, but I'm just saying that's one of the things you rely

1 on in saying that it should just be for first-generation?

2 DR. MAKHOLM: I never said that.

3 MR. MILLAR: Okay.

4 DR. MAKHOLM: I never said "just first-generation." I
5 said that it had a point related to the transition. How
6 long the transition takes may be more than just the first
7 or the second. What I conclude in this case is the
8 transition is over by the time you get to the fourth. That
9 was my conclusion.

10 MR. MILLAR: Okay.

11 DR. MAKHOLM: And it had to do with what kind of
12 incentives are appearing in the data that we measure for
13 the companies in question --

14 MR. MILLAR: Yes, and I think you've got --

15 DR. MAKHOLM: -- and if I can add --

16 MR. MILLAR: -- I won't ask you to repeat that.

17 DR. MAKHOLM: -- Dr. Lowry misquoted me in that
18 respect, and he said, as you said now, that I said "first."
19 I never said "first", but by the time you get to the fourth
20 you can safely conclude that the elements that the stretch
21 is supposed to measure are long since passed.

22 MR. MILLAR: I apologize if I mischaracterized you,
23 and perhaps you did not say it's only for the first. And
24 as you are aware, and I'm sure you know where I'm going
25 with this, if we turn to tab 6, Alberta has now moved to
26 its second-generation plan; is that correct?

27 DR. MAKHOLM: Yes.

28 MR. MILLAR: And I think they reference your work in

1 that proceeding, but you didn't actually appear on that
2 case; is that right?

3 DR. MAKHOLM: Yes, they referenced it scores of times,
4 but I was not in that particular proceeding. They already
5 had my independent work and my analysis, which they
6 continue to use.

7 MR. MILLAR: Understood.

8 If we could turn to, I think it's page 39 of the
9 decision and maybe 28 of the PDF. It's paragraph 151. I'm
10 sorry, I have to read through a couple of passages here to
11 get to my question. It says:

12 "The distribution utilities and their experts
13 have interpreted the commission statement in the
14 previous decision to mean that the inclusion of a
15 stretch factor is warranted only during a
16 transition from cost of service to PBR."

17 And I'm going to skip ahead to paragraph 152.

18 "Parties in this proceeding pointed out that
19 because expenditures under the capital tracker
20 mechanism in the 2013-2017 PBR plans were largely
21 treated on a cost-of-service basis, they were not
22 subject to the same high-powered incentives to
23 control costs as the expenditures under I minus
24 X."

25 And if we skip to paragraph 153:

26 "Given that current-generation PBR plans include
27 a cost-of-service capital trackers mechanism
28 which will be mostly replaced in the next-

1 generation PBR plans by the K-bar mechanism..."

2 And we don't have to get into exactly what that is.

3 "...the commission expects that next-generation

4 PBR plans will be largely devoid of any

5 significant cost-of-service elements. Therefore,

6 the commission finds merit in including a stretch

7 factor component in the X factor for the next-

8 generation PBR plans for all distribution

9 utilities."

10 You will have that read that before?

11 DR. MAKHOLM: Yes, you're making my case. This is
12 exactly what I've said.

13 MR. MILLAR: Yes, in that if there are significant
14 changes you may be able to realize additional efficiencies?
15 Is that the point I'm to take from that?

16 DR. MAKHOLM: No, if there are significant changes
17 you've changed the regime. The regime has gone from I
18 minus X or PBR or IRM for base rates and cost of service
19 for the incremental capital to IRM or PBR, including the
20 incremental capital. So there's a new regime, there is a
21 new sheriff in town, and the new sheriff is going to incent
22 different kinds of behaviour, which is exactly what I'm
23 saying. The AUC only predicated the stretch in the second
24 generation on the fact that the IRM regime itself was
25 broader and covered more stuff than their first IRM regime.

26 MR. MILLAR: What type of plan is Enbridge currently
27 on?

28 DR. MAKHOLM: The Enbridge -- why don't you answer

1 that question?

2 MR. CULBERT: As we confirmed earlier, custom IR.

3 MR. MILLAR: Custom IR. Is that an I minus X regime?

4 MR. CULBERT: Our custom IR is not, but the custom IRs
5 required by the Board has a custom index, which would have,
6 in my understanding, an I and an X included in it.

7 MR. MILLAR: Right. But your current plan is not an I
8 minus X regime.

9 MR. CULBERT: Our current IR is the original
10 application to the Board under their then existing view of
11 custom IR at that time, which as I mentioned earlier has
12 changed, morphed into the current view of --

13 MR. MILLAR: I'm just asking about your plan, and your
14 plan has significant cost-of-service elements?

15 MR. CULBERT: Our plan was a custom approach, given
16 the Board's policy at that time, which was a five-year
17 projection of costs, inclusive of, in our application,
18 productivities to a degree, et cetera, so --

19 MR. MILLAR: So the answer is yes.

20 MR. CULBERT: It was based on the custom IR
21 application requirements of the Board at the time, yes.

22 MR. MILLAR: And that's not what you are proposing
23 now. You will be under a straight price cap IRM?

24 MR. CULBERT: We will be using a price cap to escalate
25 our rates going forward. That's correct.

26 MR. MILLAR: Okay. Thank you.

27 Okay. I'm running short on time. Why don't we have a
28 go at the more academic exercise, Dr. Makholm, so --

1 DR. MAKHOLM: I wouldn't recommend it.

2 MR. MILLAR: No, I don't relish it myself, but we only
3 have ten minutes left, so I can pull the plug if it starts
4 going too badly and pretend I'm out of time.

5 Again, the -- you both -- stretch factor is the big
6 area where you disagree on X factor. You actually came up
7 with the same conclusion, as you discussed in your
8 examination in-chief; is that right?

9 DR. MAKHOLM: Yes.

10 MR. MILLAR: So again, this is largely academic,
11 although I suppose there may be precedential value based on
12 the different approaches you used, that type of thing. And
13 your results were not identical. Although you came to the
14 same conclusion, there were some different results that
15 were spat out from your studies, so I just want to explore
16 that in the ten minutes I have left.

17 So just to set the table at a very high level, your
18 TFP study measures the year-over-year productivity trend
19 of, is it -- was it 57 U.S. gas and electric utilities? I
20 have 57 written down, but I'm not sure if that's the right
21 number.

22 DR. MAKHOLM: I think 60 -- I have it written down
23 too. I'll --

24 MR. MILLAR: It doesn't matter exactly. It's in that
25 range --

26 DR. MAKHOLM: -- number of companies. It is the
27 maximum population of companies, is a maximum data set. It
28 changes over time, but I think it's in the 60s.

1 MR. MILLAR: Okay. And though some of the utilities
2 in your survey provide both gas and electricity service, am
3 I right that your analysis uses only the data from the
4 electricity side?

5 DR. MAKHOLM: No, both.

6 MR. MILLAR: But does it use the gas data as well?

7 DR. MAKHOLM: It doesn't use gas data, but it uses
8 distribution data.

9 MR. MILLAR: Well, help me with that.

10 DR. MAKHOLM: If a company distributes gas and
11 electricity, it uses data for the distribution of either
12 gas or electricity.

13 MR. MILLAR: Okay. Let me just start with the very
14 basics, and this is the highest level type of question, but
15 TFP, total factor productivity, it measures the rate of
16 change of outputs relative to the rate of change of inputs;
17 is that correct?

18 DR. MAKHOLM: Yes.

19 MR. MILLAR: Okay. And if we imagine a scenario where
20 you have an input value that falls over time but your
21 output value remains constant, what impact will that have
22 on TFP?

23 DR. MAKHOLM: If the index of inputs --

24 MR. MILLAR: If it falls --

25 DR. MAKHOLM: -- falls and the index of outputs
26 remains the same, the ratio of outputs to inputs will go
27 up, and you will measure what you conclude is a increase in
28 productivity.

1 MR. MILLAR: Exactly. And sorry, these are not trick
2 questions, I just wanted to --

3 DR. MAKHOLM: Oh, I'm not taking --

4 MR. MILLAR: -- and I and the Board and the people in
5 the room understand exactly how this works.

6 Okay, and if inputs increase and outputs remain
7 constant, TFP would be negative. Is that --

8 DR. MAKHOLM: That's what we would measure.

9 MR. MILLAR: Okay. And is it fair to say that the
10 results of any TFP study will be highly sensitive on what
11 you choose as your input measures and what you choose as
12 your output measures?

13 DR. MAKHOLM: Yes.

14 MR. MILLAR: And as you went over in your examination
15 in-chief, there are in fact quite a number of similarities
16 between what you -- between the methodologies that you and
17 PEG use. There are some differences, but there are some
18 similarities as well.

19 For your output measure, although there are some
20 differences, you both use a physical measure; is that
21 right? You used throughput, essentially, either kilowatt
22 hours -- or, pardon me, megawatt hours or M cubeds --
23 whereas Dr. Lowry used that, but he also added customer
24 numbers; is that right?

25 DR. MAKHOLM: Yes.

26 MR. MILLAR: And although there are some differences
27 in how you measure inputs, you both use what's called the
28 monetary method, and that means that monetary method, it

1 relies largely on financial or monetary data as the source
2 of data for measuring these inputs; is that right?

3 DR. MAKHOLM: Well, dollars, let's say.

4 MR. MILLAR: Dollars. Okay. Fair enough. But we're
5 in agreement that you both use the monetary method?

6 DR. MAKHOLM: Well, you have to measure capital, for
7 instance, as something, so we don't use pounds of steel,
8 you use dollars.

9 MR. MILLAR: So you use the monetary method.

10 DR. MAKHOLM: I would say dollars.

11 MR. MILLAR: Okay. Thank you.

12 DR. MAKHOLM: I've never used the term "monetary
13 method."

14 MR. MILLAR: Dollars it is.

15 Okay. So for your input measures, I know there is a
16 variety that you use, but one of the inputs you use is the
17 utility's capital assets, things like buildings, vehicles,
18 transmission lines, what-have-you?

19 DR. MAKHOLM: Yes.

20 MR. MILLAR: And there's also some other non-capital
21 items, such as materials, labour, that type of thing?

22 DR. MAKHOLM: Yes.

23 MR. MILLAR: Okay, but when we're talking about the
24 capital assets -- and I want to focus on that -- as you
25 discussed in your examination in-chief, the method you use
26 there to measure the input value of capital assets over
27 time is what we call the one-hoss shay method; is that
28 correct?

1 DR. MAKHOLM: Yes.

2 MR. MILLAR: And that differs from what Dr. Lowry
3 used. He used what had is known as geometric decay.

4 DR. MAKHOLM: Correct.

5 MR. MILLAR: Let me just start with geometric decay.
6 Under geometric decay, as I understand it, the value
7 assigned to a capital asset will decline over time. I kind
8 of liken it to depreciation, although I know it's not
9 necessarily straight line depreciation. But that's how you
10 it would work under geometric decay?

11 DR. MAKHOLM: Think of it as a candle that burns down
12 over time. And halfway through the life of a candle, there
13 is half a candle left.

14 MR. MILLAR: And at least in theory, let's see if you
15 agree with this, that's meant to reflect the fact that an
16 asset's productive capacity may deteriorate over time,
17 absent maintenance or repair, or something like that. At
18 least that's the theory behind geometric decay?

19 DR. MAKHOLM: No. Geometric decay is used in those
20 places where those who create index numbers, like a
21 Statistics Canada or the Department of Trade in the U.S. or
22 elsewhere, or Dr. Lowry with his gas distribution data,
23 doesn't have the ability to measure the assets at their
24 value over their useful life. So those operations have to
25 conclude that there's some sort of -- at some point, you
26 have a whole candle and at some point, you don't have that
27 candle any more. So they presume that the candle burns
28 down and the quantity of capital that you are deploying in

1 your operations with that -- if capital is your candle, it
2 burns down.

3 But one-hoss shay doesn't make any assumption like
4 that. It doesn't need to, because it's got the data that
5 says you've got a hunk of pipe, and it's going to be used
6 for in it's intended purpose until it's withdrawn.

7 So there is no candle burning down in one-hoss shay.
8 There is some sort of assumption about the candle burning
9 down, if you do what Dr. Lowry has done, either straight
10 line or geometric decay. But that's only because you don't
11 have the data to hold that candle in place at its full
12 height until you take it out of service.

13 MR. MILLAR: I'm not sure that is actually so
14 different from what I said. But your answer is on the
15 record, so thank you for that.

16 And you did discuss one-hoss shay, which is obviously
17 different to the extent that once the capital asset enters
18 service, the assumption is it is retains its entire
19 productive capacity over the life of the asset.

20 DR. MAKHOLM: Until its retired.

21 MR. MILLAR: And in your study, I believe the
22 assumption is a 33-year asset life.

23 DR. MAKHOLM: Correct.

24 MR. MILLAR: So the input value that you assign to an
25 asset would be the same in year one as it would be in year
26 32?

27 DR. MAKHOLM: The input value is --

28 MR. MILLAR: A dollar.

1 DR. MAKHOLM: We denominate it in dollars. But the
2 point is there's a certain amount of capital going into the
3 enterprises, and that quantity of capital is the summation
4 of a whole lot of assets.

5 Those assets are there and used for things until
6 they're withdrawn, and the sum total of the assets have an
7 average life of 33, so we track -- as we can with regulated
8 books in the U.S. and Canada, because you use those things.
9 So that's how we track the property of the companies
10 involved. We want to make sure we don't forget what
11 property they own; those are the equity owners' property
12 values.

13 We track the assets in the books until they are
14 retired. And so we have the benefit with FERC Form 1 data
15 of being able to use one-hoss shay to keep all those assets
16 in place working until they are withdrawn.

17 MR. MILLAR: I understand that. But my question was
18 the value will be the same in year 32 as it will be in year
19 one?

20 DR. MAKHOLM: In terms of a particular asset with a
21 33-year life, the answer is yes.

22 MR. MILLAR: Yes, okay. And under geometric decay --
23 let's take a situation where the asset is valued at \$100,
24 just to keep this simple; call it a transmission line.

25 Under one-hoss shay, in year 32, it will still be
26 worth -- the input value will still be \$100. Whereas under
27 geometric decay, the value would be something less than
28 \$100.

1 DR. MAKHOLM: Mr. Millar, I hope you understand that
2 simply denominating it in dollars can allow us to use the
3 word "value" improperly, which you just did. And it's not
4 your fault; it's the questions you were given.

5 MR. MILLAR: I wrote the questions.

6 DR. MAKHOLM: Even then, even worse. But we're trying
7 to measure a capital input. We just happen to use dollars
8 to denominate -- as a numerator for that capital.

9 And what we say in terms of one-hoss shay is that the
10 amount of capital, however you denominate it for a
11 particular asset as part of the capital account, stays in
12 place and doesn't go anywhere. And we denominate it in the
13 same way with the same quantity until it's withdrawn.

14 Geometric decay, which you just mentioned, assumes
15 that the quantity of capital goes down over time, until it
16 expires -- not withdrawn, but expires.

17 MR. MILLAR: That's what I just said. You seem to be
18 agreeing with me.

19 DR. MAKHOLM: So if we are using quantity instead of
20 value, straight line or geometric decay or some other non-
21 linear technique, assumes that the capital goes away, it
22 sort of evaporates, it vanishes over time until it's all
23 gone, and one-hoss shay makes no such assumption. It keeps
24 the capital there doing what the capital does until it's
25 withdrawn. That's the difference.

26 MR. MILLAR: That seems like a long way of saying yes
27 as a response to my question.

28 DR. MAKHOLM: No, I think that by using the term

1 "value", you sort of brought into the discussion
2 depreciation practices, which are there for tax purposes,
3 or rate-making purposes, or other things, but not for
4 purposes of measuring productivity.

5 MR. MILLAR: Dr. Makholm, all else being equal, what
6 impact will using one-hoss shay and as opposed to geometric
7 decay have on TFP results over a period of time, everything
8 else being equal? Would TFP be lower using one-hoss shay,
9 or higher?

10 DR. MAKHOLM: Well, we have a controlled experiment in
11 this case. Not everything else is equal. Lots of stuff
12 isn't equal.

13 MR. MILLAR: I know it's not. That's not my question.

14 DR. MAKHOLM: We don't know. You can't predict,
15 because lots of other things are going on at the same time.

16 MR. MILLAR: No, in my scenario, they're not.

17 DR. MAKHOLM: I don't know. That's not possible to
18 predict. It depends on other things. I would just say it
19 depends. I don't know.

20 MR. MILLAR: Won't the input value be lower under
21 geometric decay than it would be under one-hoss shay?

22 DR. MAKHOLM: I don't know.

23 MR. MILLAR: Okay, I have your answer. I am almost
24 out of time, so let me just skip to the end.

25 Could we please turn to tab 9? This is the Board's
26 decision in the recent Ontario Power Generation case in
27 which there was a battle of the experts about a TFP study.

28 In that case, they actually came up with different

1 results. But one of the features of the study put forward
2 by OPG's expert in that case was that it is used the
3 physical measure for his TFP study. He used generation
4 produced, as measured in megawatt hours for its output
5 measure, and generation capacity for its input measure.

6 I want to take you to page 126 of that decision, which
7 I think is page 143 -- pardon me, 43 of the PDF. And if
8 you look at the bottom of that page under "Findings", the
9 second paragraph:

10 "The OEB agrees with LEI," that was the expert for OPG,
11 "that generation (MWH) is the most appropriate measure of
12 output, as it is generation produced and not capacity which
13 is the basis for revenues to recover capital and operating
14 costs. However, the OEB also recognizes limitations with
15 LEI's approach. The OEB questions LEI's physical approach,
16 which uses megawatt capacity as an input, as this measure
17 does not take into account financial considerations, such
18 as the capital costs. Although many hydroelectric
19 generation assets have very long useful lives, the OEB is
20 not convinced that there is no functional depreciation
21 until end of life. In fact, reviews of capital projects to
22 sustain, refurbish and replace hydroelectric stations and
23 assets in OPG's prior payment amount applications confirm
24 that capital expenditures and operating costs are needed to
25 maintain capacity to the end of a station's life. Absent
26 ongoing capital and operating expenditures, hydroelectric
27 generation assets will depreciate over time. In the OEB's
28 view, LEI's physical method, which assumes no depreciation

1 until the end of life, is not a realistic basis for the
2 analysis of productivity of hydroelectric generation
3 facilities."

4 DR. MAKHOLM: Yes, I'm familiar with that decision and
5 the inputs that go into it.

6 MR. MILLAR: And how is this situation different than
7 that, Dr. Makhholm?

8 DR. MAKHOLM: It is completely different. As you
9 recall in that case, that was the first time anybody had
10 ever ventured to do a TFP study for hydroelectric
11 generation. There's a reason for that, and that's because
12 Hydro electric generation -- there is too little of it;
13 it's too big, it is too site-specific, and it is too
14 idiosyncratic.

15 It makes a TFP study enormously challenging and
16 difficult, to the extent that until that case, no one had
17 ever done one. But calling for one, in the context of that
18 technology of a hydroelectric dam with water coming in
19 you're not paying for, caused the two experts to take
20 diametrically opposed positions with respect to how to
21 quantify the capital involved.

22 LEI didn't depreciate anything. And the other expert
23 -- who was it again?

24 MR. MILLAR: Dr. Lowry.

25 DR. MAKHOLM: Yes, he used this geometric decay
26 business, neither one of which is acceptable in the context
27 of these kinds of companies that don't manage hydro dams.

28 So what I would say is that the outcome of that

1 dissension was completely predictable, for someone like me
2 who has been doing this kind of analysis for longer than
3 Dr. Lowry is doing, knowing the extreme difficulty of
4 dealing with a Hydro dam and whether it's productive or
5 not, but setting up the contest between not depreciating at
6 all, because the hydro dam is not coming out of service,
7 and geometric decay, you chose what you chose and you came
8 out of that -- you came out of that case with your skin
9 intact.

10 We don't have a hydro dam here. We just have pipes
11 and wires and trucks and other kinds of distribution
12 equipment that does cycle through. There is a perpetual
13 inventory overhaul with distribution companies or with
14 power generators or with others that aren't hydro plants,
15 so the difficulties faced by the two analysts in that case
16 we don't face. We don't have to worry about that.

17 MR. MILLAR: Is the difficulty about a hydro facility
18 just its long-lasting life? Is that the -- I'm not quite
19 following what the --

20 DR. MAKHOLM: Yes, you install -- it's very old, and
21 you install it until you no longer have a company, and how
22 to deal with the capital input of a hydro dam, where
23 everyone is in a different valley, on a different river,
24 gives you a circumstance that, until your case, no one ever
25 wrestled with, and it's those problems that cause you to
26 wrestle with it, but we don't have those problems here.

27 It's, we don't have the majority of our capital tied
28 up in one big thing that will be there until the end of the

1 company. So we don't face those problems.

2 MR. MILLAR: Okay, Dr. Makhholm. Regrettably I'm at
3 the end of my time, so thank you very much for your
4 assistance with this. Thank you, members of the panel.
5 Madam Chair, those are my questions.

6 MS. ANDERSON: Thank you, Mr. Millar.

7 I think it looks like a good time for the morning
8 break, so we'll take 20 minutes, and I think it's Energy
9 Probe when we come back. Thank you.

10 --- Recess taken at 11:02 a.m.

11 --- On resuming at 11:22 a.m.

12 MS. ANDERSON: Thank you. We're back from a break
13 with panel 4. And up next -- I'm not sure who is on for
14 Energy Probe. Is it Dr. Higgin?

15 DR. HIGGIN: Yes.

16 MS. ANDERSON: Thank you. Before I start with the
17 panel, just to say that we have prepared a compendium and
18 that has been filed last night and copies are available in
19 the room. So I would like to have an exhibit for that,
20 please.

21 MS. ANDERSON: Do we have -- I don't think we have
22 that, do we? Or is it in here?

23 MR. MILLAR: Dr. Higgin, did you provide us with hard
24 copies?

25 DR. HIGGIN: Yes, I had two boxes down there. I don't
26 know where they all went.

27 MR. MILLAR: We just need to find it.

28 MS. LONG: I think we have it. I have mine.

1 MS. SPOEL: Yes, thank you.

2 MS. ANDERSON: Okay, thank you.

3 DR. HIGGIN: So could we have an exhibit please?

4 MR. MILLAR: Yes. That will be Exhibit K4.2.

5 **EXHIBIT NO. K4.2: ENERGY PROBE CROSS-EXAMINATION**
6 **COMPENDIUM FOR PANEL 4**

7 DR. HIGGIN: Thank you very much.

8 Good morning, Dr. Makhholm and our returning witnesses
9 from the companies. My name is Rodger Higgin and I'm a
10 consultant to Energy Probe Research Foundation.

11 DR. MAKHOLM: Good morning, Dr. Higgin.

12 DR. HIGGIN: By way of background, I am an engineer
13 and a business graduate, but I'm not an economist. So that
14 will provide some context for my questions.

15 DR. MAKHOLM: Congratulations.

16 DR. HIGGIN: So we'll move on straightaway to our
17 compendium, and I'd like if you could open up page 3. Then
18 we'll move from that -- just to look at page 3 and then
19 move on to the response.

20 So this page 3 is a copy of Exhibit C.EP.31, Energy
21 Probe interrogatory 31, and the response -- and now it's up
22 on the screen.

23 So we provided an attachment of a recent review of
24 productivity studies taken from the evidence filed by PEG,
25 Dr. Lowry in Quebec, that is Régie docket R-4011-2017,
26 piece 0057, as it says on there.

27 So I'm not going to ask any more questions about that,
28 just to note that is what we put in our interrogatory.

1 So, I'd like you to turn to page 2 of the response,
2 and I'd like you to just clarify for me your response to
3 part (c) of the response, please, Dr. Makholm.

4 DR. MAKHOLM: Yes, that's where I'm talking about the
5 AUC's current plan?

6 DR. HIGGIN: Yes. But just to look at the wording,
7 "AUC's current IRM price cap of 0.3 percent
8 represents a combined X factor and positive
9 stretch factor for both..."

10 I'm a bit puzzled by that statement.

11 Wouldn't that be a higher number than 0.3? Wouldn't
12 it be something like GDPP? I'm just trying to clarify.
13 I'm not trying to ...

14 DR. MAKHOLM: I think that that might be loose
15 language there. You are probably right. The question was:
16 "Please confirm that the AUC IRM price cap
17 established an X factor of 0.3 percent for both
18 gas and electric utilities in its current
19 operable second generation plan."

20 DR. HIGGIN: Right.

21 DR. MAKHOLM: And my answer, not looking at the clunky
22 language that may be in here, is that the AUC chose 0.3
23 referring to both stretch and X in that case.

24 It didn't make a distinction between one and the
25 other. That's what I would have meant to say.

26 DR. HIGGIN: So it's I minus 0.3?

27 DR. MAKHOLM: Correct.

28 DR. HIGGIN: That's what I wanted, just to clarify

1 that. That's all.

2 Could you turn to page 5 of our compendium? This
3 deals with regulatory precedence, and you were discussing
4 this with Mr. Brett and that's at the technical conference
5 transcript, page 95 and this is a fairly straightforward
6 question and I'd like you to just look at the final, final
7 exchange at the bottom of the highlighted area.

8 And my question is: How does the regulatory regime --
9 and that is, in my terms, cost of service or I minus X --
10 affect the selection of the utility sample at all, and the
11 and the overall TFP result from that sample?

12 That's my question.

13 DR. MAKHOLM: To restate it, how does...

14 DR. HIGGIN: Whether the utilities are operating under
15 cost of service or I minus X, how does that affect the
16 sample, how many of them are in the sample, and how does
17 that influence the result of the TFP analysis?

18 DR. MAKHOLM: And thus, you mean my population of
19 companies?

20 DR. HIGGIN: Yes, of course. Oh, yes.

21 DR. MAKHOLM: It doesn't. There is -- and there is a
22 good reason why it doesn't, and that is because some places
23 like Massachusetts may have defined I minus X regimes.
24 Other places like Maryland may have price freezes, which
25 similarly decouples rates from costs over a period of time
26 with a regulatory lag in, just like I minus X or the custom
27 I minus X plan in this province.

28 So the classification of how much decoupling and how

1 much lag is operable for any company is an important
2 question. But it is a complicated one because there is lag
3 with everybody. No one does X post cost plus regulation.
4 Every company has some sort of lag, even if it's only a
5 year. Some companies have a two-year lag, some companies
6 have a freeze with a multi-year lag, some companies have I
7 minus X, like in Massachusetts.

8 But in that there is this continuum of incentives
9 among the companies, they all go in.

10 DR. HIGGIN: So in your discussion with Mr. Brett,
11 which we've highlighted, you acknowledged that most of the
12 U.S. sample was on PBR -- sorry, on cost of service -- not
13 all, but a significant quantity of your sample was on COS.

14 Would that be a wrong statement?

15 THE WITNESS: No, it's not wrong. But it is
16 characterized by the permeable, gradual, fuzzy barrier
17 between cost of service and a regime typified by a
18 decoupling of costs and revenues, and some lengthened
19 regulatory lag.

20 DR. HIGGIN: When you do the analysis, how does that
21 affect that? Because, as we already know, many of the
22 utilities are under IRM. They are supposed to be reducing
23 their costs and they are supposed to increase productivity.

24 DR. MAKHOLM: That's the incentive that they face,
25 correct.

26 DR. HIGGIN: Right.

27 DR. MAKHOLM: Whether they are supposed to or not,
28 that's their incentive.

1 DR. HIGGIN: And that's what we would be expect to be
2 seeing in the overall sample. There would be some that
3 would be COS, and some that would be on IRM. That's all
4 I'm asking.

5 DR. MAKHOLM: Correct, and some would be some sort of
6 vague mixture between the two.

7 But recall that the whole point of an X factor study
8 is to see what's going on with the market out there, as if
9 we had a competitive barrier, to judge whether or not the
10 productivity we measure in the market, whatever the
11 markets' doing, tells us that there is some problem with
12 using the basic inflationary numbers that we get from Stats
13 Canada. And that's what I concluded -- that's the whole
14 point of the collection of this.

15 In the market out there, if you are talking about gas
16 distribution or hockey sticks, different companies do
17 different things in different ways. But it is the
18 collection of them; it is the average of what goes on out
19 there in the market that we're concerned with.

20 DR. HIGGIN: Well, we understand that that's how the
21 analysis is done. You compare the sample to the economy,
22 the industry, to the economy. That's how it works, right?
23 That's how we do it.

24 DR. MAKHOLM: Yes.

25 DR. HIGGIN: So can we just now turn to our next
26 topic, and this is service slides, is the next topic, and
27 page 6 of our compendium, which is Exhibit JT2.3.

28 And what I just want to go to is the result of your

1 analysis that you were asked to do in the technical
2 conference. And to summarize, briefly, that when I look at
3 the result, it seems to show that over the last period --
4 and these are the four areas of regulatory decisions --
5 that for Union, it's around 36 or thereabouts -- we are not
6 going to argue over little bits -- and about 38 for
7 Enbridge.

8 Is that what you concluded in this analysis?

9 DR. MAKHOLM: These were prepared by Union and
10 Enbridge.

11 DR. HIGGIN: But you don't disagree with them.

12 DR. MAKHOLM: No, it is the data from Union and
13 Enbridge. No, I don't disagree.

14 DR. HIGGIN: Right. So just putting that against your
15 sample and your analysis, you came up with, as was
16 mentioned to counsel, with 33 years, correct?

17 DR. MAKHOLM: Yes.

18 DR. HIGGIN: Okay, so the big question, if we have a
19 question, is: Well, what's the relevance of that
20 difference between the 37/38 year for these utilities and
21 the sample that you used in your analysis? That's the
22 question.

23 So can we go to page 8 of the compendium, and we'll
24 just explore that a little bit, please. So just as
25 background to orient this, that Mr. Shepherd was asking you
26 about this difference, as you see there, and you then have
27 the response that's at the bottom, and showing the -- I
28 think that you would say there, at the bottom you say: "I

1 put great stock and hold to be objective", da-da-da-da, so
2 you then say, final sentence:

3 "But to the extent that any one company is off
4 the average of distribution life, I would have to
5 look at it and say that it's an anomaly."

6 So my question is very straightforward, is, did you
7 look at it and is there anomaly for these two companies?
8 That's a straightforward question.

9 DR. MAKHOLM: Yes, I did look at it when the data was
10 provided in these forms, and I concluded that those data
11 are what they are, and the average for the group which I
12 have measured and confirmed, as I did in the generic case
13 before the AUC, is 33, and these companies are 36 and 37.
14 Those differences are what they are.

15 The market out there says 33. These companies are
16 that component different, but I -- that doesn't change
17 anything.

18 DR. HIGGIN: That's the next question. What does it
19 change, if anything?

20 DR. MAKHOLM: It doesn't change anything, because with
21 respect to what the market is doing, the market's still
22 performing according to a broad average among all the
23 companies in all the years of 33, and to the extent that we
24 looked specifically at these two companies and changed 33
25 to 36 or 37 to reflect not the market but the particular
26 consequence of these two companies, the numbers do change,
27 but they don't change out of the negative category, and
28 they don't change our conclusions.

1 DR. HIGGIN: Okay. I won't go into the debate,
2 because there will be one, just a heads-up, that there are
3 differences between gas and electric and between the U.S.
4 and Canada that might explain such differences. Do you
5 have a comment?

6 DR. MAKHOLM: Yes, I've been through days of hearings
7 on that exact subject in the generic proceeding. And I
8 don't want to keep talking about the AUC like they're this
9 fantastic board, but they did go through --

10 DR. HIGGIN: Was -- yeah --

11 DR. MAKHOLM: -- the job of having -- they did go
12 through the job of doing a generic proceeding, and they
13 dealt with that, and when it came to the trade-off between
14 using the Form 1 data and using Canadian data to reflect
15 what you are speaking of, at the end of the day, all things
16 considered, they chose Form 1, and I think that -- that's
17 what I had recommended, and they took that recommendation.

18 If we had a Form C data for Canada, we'd use it,
19 reflecting what's going on here, but we don't, and so that
20 reflects the trade-offs of doing this kind of analysis, Dr.
21 Higgin.

22 DR. HIGGIN: Thank you very much. So I'd like to now
23 move on to another area of differences in the two studies,
24 and that is -- obviously it's been discussed, but that's
25 the output quantity index. That's what I'd like to move on
26 next.

27 So could we look at page 10 -- sorry, page 9 of the
28 compendium, and this is an interrogatory where we asked you

1 about this, this particular topic, and that is the C.EP.32,
2 and that's shown in the compendium. And if we go down here
3 we will see in part (a) to the response, and you outline
4 that there's two options, you say, for the output quantity.
5 And then you mention what Alberta, again, did.

6 And then we would like to just understand from you,
7 you decided, because that's your methodology, that you used
8 the output quantity -- in this case it would be gas, sales
9 volume -- and the question I had to you is: Did you do any
10 weighting or anything with respect to that in order to
11 develop the output index?

12 DR. MAKHOLM: No.

13 DR. HIGGIN: No weighting, just straight sales volume.

14 DR. MAKHOLM: Yes.

15 DR. HIGGIN: Okay, thank you. So what we would like
16 to understand a bit better is the fact that, how does that
17 link to the trend in declining average use per customer,
18 which is massive for these two utilities? How does it link
19 to that? Should there not be some weighting or adjustment
20 -- I'll use the word "adjustment" -- to recognize declining
21 average use.

22 DR. MAKHOLM: And the answer is in a perfect world,
23 perhaps, but we're not in a perfect world, so, no. And
24 what I mean by that is: When you talk about declining use
25 per customer, a number that I'm intimately familiar with,
26 and I've published in my vitae, Energy Law Journal, on that
27 explicit subject with respect to how declining use relates
28 to revenues. Sometimes the effect on revenues is huge,

1 depending on the rate design, and sometimes it's not. If
2 we charged all distribution customers rent for their piece
3 of the distribution system, declining averages would have
4 no effect. Or if we had revenue decoupling and makeups,
5 which many gas distributors do, it has no particular
6 effect.

7 But we have to choose an output measure that is
8 objective and measurable and at least over time reflects
9 what the companies do. And my opinion is that with a long
10 enough measure -- reflected by what the AUC said, that
11 reflected my opinion -- was that if you have a long enough
12 data set, and if you are careful enough to deal with data
13 that's consistently collected and applied across a large
14 number of companies similarly situated, that you can use
15 output and not apply any other judgments in terms of
16 another kind of output by customers, or how you are going
17 to weight customers over time, or how you are going to deal
18 with the fact that companies can make up for lost revenue
19 per customer issues other ways by decoupling or changing
20 the rate design. As soon as you abandon one measurable and
21 objective measure of output, you open yourself up to a
22 number of subjective judgments on how you are going to make
23 it up some other way. You have to choose the other one.
24 You have to choose how you're going to mix the two, and I
25 conclude that those choices don't pay.

26 DR. HIGGIN: I was only asking about your methodology,
27 not about the other options that -- such as Dr. Lowry has
28 said --

1 DR. MAKHOLM: No, no, I'm not --

2 DR. HIGGIN: -- I was asking just for your
3 methodology, sales volume.

4 DR. MAKHOLM: That's -- and I was only talking about
5 me.

6 DR. HIGGIN: Okay.

7 DR. MAKHOLM: I have to choose it. I have to choose
8 volume as an output, and I know what the other choices
9 would be, the ones that I mentioned.

10 DR. HIGGIN: Yes.

11 DR. MAKHOLM: And given that those other choices
12 exist, I choose volumes as most objective and consistent
13 measure of output to use for this kind of study.

14 DR. HIGGIN: Thank you very much. My next topic -- we
15 are going to move towards the question, I think, of the
16 general trend in productivity in the industry. And I would
17 like to explore that a little bit with you.

18 And in order to discuss that, we could look at the
19 excerpts from the technical conference transcript on pages
20 11 and 12.

21 DR. MAKHOLM: Yes, thank you.

22 DR. HIGGIN: Thank you. What I'm trying to explore
23 with you is this, that these points -- and you can comment
24 after I just give you them -- that given what's been
25 discussed earlier, can you confirm or comment on these.

26 "Regulators and ratepayers expect that PBR, IRM
27 will result in growth in productivity at least
28 for the first, second generation and maybe more

1 plants."

2 Second, from your review, and this is the key here, of
3 the Ontario electricity distribution sector and now this
4 case, based on your evidence for the gas sector in North
5 America, can you confirm this, that under PBR IRM, the
6 trend in productivity growth is approaching -- or is that
7 zero after a number of years incentive regulation?

8 Have we reached the point of no return in terms of
9 that, productivity-wise, which is why I think I interpret
10 why a zero X factor is a good number.

11 DR. MAKHOLM: Oh, no, Dr. Higgin.

12 DR. HIGGIN: No?

13 DR. MAKHOLM: It's different than that, and I go back
14 to that point of no return. I mean, that sounds awful. It
15 sounds like we're wasting our time, but we're not.

16 I go back to the description I have in my testimony,
17 which the company asked for and they were right to ask for,
18 which is why are we even doing this X business? Why am I
19 even here?

20 We have a regime that decouples revenues and costs and
21 invokes a defined period of regulatory lag. That's where
22 the incentive comes from. But you have to have inflation
23 in there somewhere in life. You can't not have inflation,
24 and X only comes into the question to determine whether
25 that inflation published by Stats Canada is good enough to
26 allow the IRM to work.

27 And by saying the X is zero, we're not saying we've
28 reached a level of -- whatever you said, that dark way you

1 had of describing that, that's not it. All it means is
2 that we don't have to fiddle with the Stats Canada number
3 any more, because the productivity that we've measured for
4 the industry has well enough matched the productivity for
5 the economy out there. So we can use that inflationary
6 number for this purpose, for the praiseworthy purpose of
7 invoking regulatory lag with a decoupled set of rates.

8 So, I mean, put that way, X doesn't sound very
9 important. And it's not. It shouldn't -- it's this mythic
10 weirdo thing that you get expensive consultants to come in
11 and do. But I think we've ground it down to the point
12 where we're saying that the PBR regime, the IRM regime, the
13 price cap plan is a very useful way to regulate. You don't
14 have to see these guys again for another decade. That's
15 great, and that you can do that without fiddling with the
16 Stats Canada number for inflation, given what we've
17 measured in terms of productivity for that industry and for
18 the economy as a whole.

19 DR. HIGGIN: Thank you. You actually answered my next
20 question, as you tend to do, which was just to conclude --
21 can we conclude from the evidence that under the price cap
22 formula, costs for Amalco will increase at around GDGPI?

23 DR. MAKHOLM: Yes.

24 DR. HIGGIN: Thank you. So then the next question is
25 about regulatory regime. Why do we go with an I minus X as
26 opposed to some of the earlier structures that are
27 available in Ontario under the RRF?

28 For example, there could be custom IR, there might be

1 multi-year revenue, or it could an indexing. They are both
2 available. Why would we continue with I minus X?

3 DR. MAKHOLM: I minus X custom IR, to me is just a
4 variance of the same regime, but a decoupled regime with a
5 regulatory lag. So they're two different flavours of the
6 same thing and it's a choice that the company has that you
7 give it to go down one path or another.

8 In this case, we're in a MAADs proceeding, so it is a
9 little different. But they could choose straight I minus X,
10 or they could choose a custom plan which, for the world at
11 large looking in, except for some details, is the same
12 thing. You might choose to project different kinds of
13 numbers as opposed to measure them, but it's the same basic
14 thing.

15 Why do we choose? It's their choice.

16 DR. HIGGIN: You didn't mention the other option,
17 which is indexing, for example, that GDDPI. You didn't
18 mention that.

19 DR. MAKHOLM: That is another of the same flavour of
20 ice cream.

21 DR. HIGGIN: Thank you.

22 MR. MANDYAM: I think that what the Board has done is
23 given companies a choice among flavours.

24 It is going to be ice cream; it is not going to be
25 pudding.

26 DR. HIGGIN: Cost of service?

27 DR. MAKHOLM: That's the pudding, given that it's ice
28 cream and they've got three flavours to choose from.

1 DR. HIGGIN: Thank you. I actually like the Italian -
2 - but we'll go from there.

3 MR. KITCHEN: Dr. Higgin, just to add one comment, in
4 the MAADs policy, it is the price cap that is available to
5 utilities to set rates over the IRM, and that's why we're
6 proposing it.

7 DR. HIGGIN: I understand the framework that you've
8 selected and are working in, and that's not -- I'm asking
9 about, from an economist point of view, how we could go
10 forward in this regime.

11 MR. KITCHEN: Yes, and I am just clarifying the
12 company's view.

13 DR. HIGGIN: Thank you. My next topic is obviously
14 treatment of capital under one of those regimes. That's
15 the next capital.

16 I have some questions then, if we could turn to our
17 compendium -- and I am just going to pick up the page here
18 so we can look at it, and that's page 14 of the compendium.

19 Do you have that? I just want to look at and discuss
20 briefly the two highlighted areas of this transcript
21 extract, and they are these:

22 "Capital expenditures are candidates for such trackers must
23 be comparatively unusual," your words, "and narrowly
24 defined," and you give an example such as cast-iron pipe
25 replacements for gas distributors.

26 And the second passage is looking at another element:

27 "We don't make the companies serve new users
28 without the capital to expand."

1 Expansion; as you know, expansion of the system here
2 in Ontario is currently going on. So that's the context.

3 So my question to you is: Why and how in designing an
4 appropriate capital tracker for Amalco and -- would you
5 consider and classify these categories of capital additions
6 of capital? First of all, replacement investments such as
7 you note, due to premature fuel failure, end of life
8 replacements, expanding or reinforcing the mains and
9 extending the mains to add new service areas.

10 And I'm trying to understand what capital do you think
11 should be included in the I minus X formula, and what is to
12 be included in the capital tracker?

13 DR. MAKHOLM: Okay. Let me begin, Dr. Higgin, by
14 saying that there's nothing about the invocation of an IRM
15 regime that breaks the basic regulatory compact that these
16 companies, who combine investment funds for the purpose of
17 providing public services to the people of Ontario, is
18 different.

19 The basic regulatory compact remains, which is that in
20 some form or fashion they will get a return on their
21 investment to provide services, and the return is that they
22 serve all comers in a way that's reasonably just and they
23 provide safe, adequate, reliable service.

24 That basic deal doesn't change here. What changes is
25 how we incentivize better performance under that basic
26 deal. The tracker is there to reflect the idea that taking
27 the current property, the current rate base, and applying
28 to it an I minus X regime is not anticipated to cover what

1 has to be covered to allow them to do that regulatory
2 compact that serve all comers, not only because new capital
3 is expensive, but because they're serving new territories
4 which, by dint of geography, are further away and more
5 spread out than the old territories were.

6 So it is not to be expected that they can take the I
7 minus X on the current rate base and have the money to do
8 those things. And so everybody has to wrestle somehow with
9 the new capital, either by projecting things or by coming
10 in and having the prudence principle work. They bring to
11 the Board what they need to spend, the Board looks at it,
12 decides whether the costs can be covered or not, and then
13 lets them collect the money for that period of time until
14 the next rebasing for those prudent expenditures. That's
15 what the capital tracker or the capital module is all
16 about, is to make sure that the company can continue to
17 serve its basic bargain, while still being under a
18 different kind of incentive regulatory regime.

19 DR. HIGGIN: Thank you. So what kind of type of
20 tracker or K factor are you recommending for Amalco? I
21 didn't see that in your pre-filed evidence, Exhibit B,
22 tab 2, or if I missed it in one of the many
23 interrogatories. You did recommend one in Alberta, of
24 course, but are you recommending one here?

25 DR. MAKHOLM: Well, I was the one that recommended
26 it --

27 DR. HIGGIN: I know you --

28 DR. MAKHOLM: -- in Alberta, but that wasn't asked of

1 me in this case. There already is an incremental capital
2 module here, and so I didn't fiddle with it.

3 DR. HIGGIN: So you didn't fiddle -- or you didn't
4 examine it to see if it would meet the criteria that you
5 would feel were appropriate for a capital tracker. You
6 didn't do an analysis or assessment, or did you? That's
7 what I'm asking.

8 DR. MAKHOLM: No, I didn't conclude to change the
9 module that the board had already approved.

10 DR. HIGGIN: Okay.

11 DR. MAKHOLM: The fact that there was one there --
12 there wasn't one there in Alberta. We had to make one up.
13 The fact that there was one here and the fact that the
14 company thought it useful and wanted to continue with it
15 was enough for me.

16 DR. HIGGIN: So the obvious question is that, with
17 that, how does that affect the rate plan going forward, and
18 particularly, how does it deal with the I minus X part of
19 the rate plan? In other words, back to the old stretch
20 factor question again, in Alberta because of that, they put
21 a stretch factor, seemed to me to be linked to changes to
22 the capital tracker. So that's the question to you.

23 DR. MAKHOLM: Correct, in the second-generation plan
24 they linked the continuation of a stretch factor to the
25 idea that the I minus X regime would apply to more things.
26 It would envelop the capital module under an I minus X
27 regime.

28 It is highly complex, which is the reason that I

1 didn't -- and I'm not sure whether that complexity itself
2 would pay, but I wasn't in that case; I wasn't asked to
3 opine on that.

4 I project -- I propose a cost-of-service-based capital
5 tracker, which is not too -- it is unlike the one that
6 they've got here. It doesn't effect the X, but because
7 there's been no regime change here of that type, that, to
8 the extent that you brought up to stretch, it was relevant
9 there but not here.

10 DR. HIGGIN: Not relevant here, that's what you say.

11 DR. MAKHOLM: Yes.

12 DR. HIGGIN: Okay. So you mentioned that we don't
13 have a new regulatory regime here, and of course this
14 brings into play the question of what is Amalco? Amalco is
15 an amalgamation and consolidation. The regime is still
16 price cap. That's what's being applied for. Doesn't that,
17 though, introduce a new dimension to the future and the
18 regulatory regime?

19 DR. MAKHOLM: You said "dimension." Sure. There is a
20 new dimension as the company tries to -- the amalgamated
21 company seeks to save the costs that the scale economies
22 will allow it to save, but it doesn't affect its bargain or
23 its regulatory regime. That dimension hasn't changed. The
24 MAADs incentive to lower costs to benefit ratepayers
25 applies to all the companies in this province, and -- but
26 that doesn't affect the IRM. IRM -- excuse me, incremental
27 -- is it IRM? I --

28 DR. HIGGIN: No, ICM or ACM --

1 DR. MAKHOLM: No, not -- I'm talking about -- bit. I
2 apologize, but it doesn't affect that business.

3 DR. HIGGIN: Okay.

4 DR. MAKHOLM: It is pursuing another objective that
5 has been encouraged by the province.

6 DR. HIGGIN: Thank you very much.

7 Madam Chair, those are my questions.

8 MS. ANDERSON: Thank you. And I believe, Mr. Brett,
9 you are next for BOMA.

10 **CROSS-EXAMINATION BY MR. BRETT:**

11 MR. BRETT: Thank you, Madam Chair, Panel.

12 Dr. Makhholm, in the Alberta case in which you were
13 involved, the 2012 case, did you -- in your -- and you were
14 -- in the material you prepared for the Board in that case,
15 did you -- or otherwise during the case, did you take a
16 position on the stretch factor?

17 DR. MAKHOLM: No.

18 MR. BRETT: You did not?

19 DR. MAKHOLM: No.

20 MR. BRETT: And did you discuss it in any detailed way
21 or...

22 DR. MAKHOLM: No.

23 MR. BRETT: Okay. If you turn up, please -- I have a
24 compendium, by the way. I hope everybody has it. I
25 have --

26 MR. MILLAR: Perhaps we should mark this.

27 MR. BRETT: Does the panel have it, first of all?

28 MR. MILLAR: Do you have it at the dais? First we'll

1 mark it as K4.3.

2 **EXHIBIT NO. K4.3: BOMA CROSS-EXAMINATION COMPENDIUM**
3 **FOR PANEL 4.**

4 MR. BRETT: Does the Panel have it?

5 MS. ANDERSON: Yes.

6 MR. BRETT: Have each of you got a copy of it for the
7 panel?

8 DR. MAKHOLM: Yes.

9 MR. BRETT: Could you turn up page 21 of the
10 compendium, please. And this is an excerpt from that
11 decision, from the case that you were involved with. And I
12 just wanted to refer you briefly to --

13 DR. MAKHOLM: I think I might correct you there,
14 excuse me, Mr. Brett. This -- unless I'm mistaken -- and I
15 was mistaken, I'm sorry, starting on page 19 is my case.
16 Before that was the later case. I stand corrected. I
17 apologize for interrupting --

18 MR. BRETT: That's fine.

19 DR. MAKHOLM: -- please go forward.

20 MR. BRETT: Look at -- down at -- start with down at
21 the paragraph 486 on -- that's on page 21. "Finally" --
22 the commission notes -- this is the Alberta commission:
23 "Finally, the commission notes that the companies
24 characterize the inclusion of a stretch factor (or lack
25 thereof) as an alternative to an ESM. In this regard the
26 commission agrees with NERA and intervenors, and although
27 there is some trade -- that although there is some trade-
28 off between an ESM and a stretch factor, they are not

1 mutually exclusive. This is demonstrated by the fact that
2 a number of PBR plans in North America have both of these
3 components."

4 Now then -- and down on page 487 -- paragraph 487:

5 "In light of the above considerations, the
6 commission agrees with EPCOR, Alta Gas, and the
7 intervenors that a stretch factor should be part
8 of PBR plans for Alberta companies."

9 Right? And that -- so the commission in this
10 particular case said that a stretch factor should be part
11 of the future PBR plans.

12 DR. MAKHOLM: Yes.

13 MR. BRETT: And then over at paragraph 515, which is
14 every at page 27, the commission went on to say:

15 "Furthermore, as set out in section 6.5, the
16 commission determined that a stretch factor of
17 0.2 percent will apply to the companies' PBR
18 plans for the duration of the PBR term.
19 Accordingly, the commission finds that the total
20 X factor for the electric and gas distribution
21 companies, inclusive of a stretch factor, will be
22 1.16 percent."

23 So that was their final decision on the X factor,
24 right?

25 DR. MAKHOLM: Yes.

26 MR. BRETT: Now, the -- I want to look briefly at the
27 next case, which is -- if you look at page -- I believe
28 it's page -- page 7, I'm sorry.

1 If you look at page 7 of the compendium, and that's an
2 excerpt from the second Alberta generic case, the December
3 16th case which Mr. Millar asked you about, I just want to
4 briefly touch on this.

5 Turning over to page 7:

6 "The commission has determined an X factor..."

7 Well, let's go to the bottom, the last line in that
8 paragraph.

9 "The commission finds that a reasonable X factor
10 for the next generation PBR plans for the
11 electric and gas distribution utilities,
12 inclusive of a stretch factor, will be 0.3
13 percent."

14 So the commission set a stretch factor in the second
15 generic plan, which will cover the Alberta gas and electric
16 PBRs going forward, right?

17 DR. MAKHOLM: Yes.

18 MR. BRETT: And in your discussions with Mr. Millar,
19 you basically said that the -- I think I heard you say that
20 this is a new regime.

21 Mr. Millar asked you about the fact that this is not
22 an initial -- an initial PBR term. First of all, I guess I
23 should go back and just confirm that in the 2012 case, at
24 that point in time, for the most part Alberta utilities, I
25 take it, were on cost of service.

26 DR. MAKHOLM: Yes.

27 MR. BRETT: With the exception of Enmax, which was the
28 old Calgary Electric, which had introduced a PBR plan in

1 2009, right?

2 DR. MAKHOLM: Correct.

3 MR. BRETT: Now, you were asked about the fact that
4 this is a stretch factor which is put in place several
5 years after what you call the transition from cost of
6 service to a PBR. So you would -- on that basis, he asked
7 you why that wouldn't run counter to giving your definition
8 of a purpose of a stretch factor, which you discussed.

9 You said, well, effectively this is a change of
10 regime. You said this is a wholesale change of regime, the
11 2016 plan, or rather the generic proposal being made by the
12 companies -- and I guess being accepted by the Board -- not
13 I guess -- and being accepted by the Board represents a
14 stepped change in the regulatory regime because, as I heard
15 it, the method for measuring capital had evolved, or had
16 changed dramatic particularly.

17 But I've listened to your comments about moving to a
18 tracker or a K-plan, and I don't understand -- why do you
19 say that's a change in regime? Isn't that simply a change
20 in how you're going to deal with capital costs within a PBR
21 framework?

22 You know, I -- that doesn't strike me as moving to the
23 level of a change in the regulatory compact. It strikes me
24 as more simply a refinement of the PBR plan. Do you have a
25 comment on that?

26 DR. MAKHOLM: Sure. You used the term "wholesale",
27 with which I would quibble. I don't think I said --

28 MR. BRETT: Sorry, what was that?

1 DR. MAKHOLM: You said wholesale change in your
2 question.

3 MR. BRETT: You've used different phrases -- all
4 right. I may have said that, yes.

5 DR. MAKHOLM: Let me start there. I wouldn't say that
6 I said that. But I will start by saying the AUC itself
7 said that there was enough of a change -- enough of a new
8 application of I minus X, in addition to the old I minus X,
9 that justified their use of the stretch.

10 They knew, the AUC, that they're the ones that had
11 been so definitive on polling the electorate of experts to
12 determine that the consensus among them was that stretch
13 was related to a transition.

14 And so the AUC knew, in my opinion, that it had -- if
15 it wanted a stretch factor, to predicate it on an extension
16 of the I minus X regime to include its new K-bar, and it
17 did so. It said in its own decision -- its own opinion,
18 that it was including the stretch factor, combined with the
19 -- combined with the X, to make a .2 in consideration of
20 having extended the I minus X to new territory. That's what
21 their opinion is.

22 I agree with that justification, but it's their
23 justification.

24 MR. BRETT: Well, actually what they seem to say in
25 this -- back on page 7 is that the -- if I look at
26 paragraph 169, this is the second decision now, the 2016
27 decision that we're talking about:

28 "The commission has determined an X factor, using

1 its judgment and expertise in weighing the
2 evidence and in taking into account the multitude
3 of considerations sets out above, in particular
4 evidence demonstrating that the TFP growth value
5 cannot be certainly be identified as a single
6 number."

7 And it gives a range of minus 79 to plus 75, so they
8 give themselves a good range of movement there. And then
9 they say:

10 "The commission finds that a reasonable X factor
11 for the next generation PBR plan for electric and
12 gas distribution utilities in Alberta, inclusive
13 of a stretch factor will be 0.3 percent."

14 So they do merge the two together, as was pointed out
15 earlier.

16 But I don't see anything in that paragraph that ties
17 their decision to any one factor. It seems to me they're
18 talking about a whole range of -- they're saying we look at
19 everything and we conclude that going forward, we should
20 have a stretch factor for everybody of 0.3, or a combined
21 X factor and stretch factor of 0.3 percent.

22 Is that not the case?

23 DR. MAKHOLM: No. The AUC explicitly in its order, as
24 I cited in my testimony, predicated the continuation of the
25 stretch factor on a greater reach of the I minus X regime,
26 period. That's their justification.

27 MR. BRETT: And the greater reach that you are talking
28 about is what? A change from -- let me go back half a

1 step.

2 What was the -- the greater reach was the substitution
3 of what they call a K-bar program for a capital tracker.

4 DR. MAKHOLM: K-bar program for a cost of service
5 capital tracker.

6 The new K-bar requires the companies to take a recent
7 trend -- I call it a back cast -- a recent trend of capital
8 additions that could not otherwise be paid for with
9 depreciation charges, and used that as a basis for an I
10 minus X regime for what they used it applied to cost based
11 capital trackers.

12 So they are taking the experience of each company as
13 measured by its own data in the previous two or three
14 years, and they are creating an expectation for how much
15 new capital the company will need that will not be covered
16 by I minus X in the basic rate base.

17 It is complicated. It's really complicated, and it
18 hasn't yet been worked out in practice, but that was the
19 expectation. They would take a cost-of-service tracker
20 regime like the one we have here and change it to make an I
21 minus X-based capital tracker regime. And as you can
22 imagine, that's a pretty tall order, and that's --

23 MR. BRETT: But we...

24 DR. MAKHOLM: -- but that was the justification that
25 they gave to extend the stretch factor into the second-
26 generation plan.

27 MR. BRETT: And that sounds similar in some ways to
28 the ICM concepts that we have in Ontario here. But --

1 DR. MAKHOLM: Not to me, Mr. Brett.

2 MR. BRETT: Not to you?

3 DR. MAKHOLM: No.

4 MR. BRETT: Do these individual capital pieces under
5 the K-bar have to be applied for individually in the year
6 in which the capital is going to be spent, or is this
7 something that is given to them as part of the -- is it
8 embedded in the formula itself?

9 DR. MAKHOLM: Both. They're two different kinds of
10 new capital, tier 1 and tier 2 or type 1 and type 2. Type
11 1 is strangely idiosyncratic and unanticipated. That goes
12 right into cost of service. Type 2, which was the
13 expectation would be most of the capital tracker type
14 stuff, would be applied to the K-bar that would I minus X
15 those costs.

16 MR. BRETT: And in the previous -- well, I better move
17 along here, because I want to stick within my time -- in
18 the previous four years, the first set of -- the first set
19 of PBRs that ensued after the 2012 decision, assuming there
20 was a set of them, what capital tracker did they use, or
21 did they have one at all?

22 DR. MAKHOLM: Oh, they all tracked capital, and they
23 all -- the rates reflected the tracked capital during that
24 period of time.

25 MR. BRETT: All right, so effectively they got the
26 cost-of-service treatment of capital; is that what you're
27 saying?

28 DR. MAKHOLM: Yes.

1 MR. BRETT: Let me just move on a little bit. What
2 I'd like you to do is -- I want to ask you to -- perhaps we
3 can do this without a reference, but if you need one I can
4 give you one. The -- you had a -- you and I had a
5 discussion at the technical conference about -- and this
6 turns on what's a change in the regulatory compact and what
7 is simply an adjustment to the current practice, and I had
8 asked you about, as Roger -- Dr. Higgin did, isn't the
9 merger -- isn't the merger a major change that would
10 justify a -- that would justify a shift, and you said, no,
11 it's not, but in the case of -- now, that's -- compare and
12 contrast that with what you've said about this Alberta
13 situation, and it seems to me your concept of transition is
14 pretty elastic. You say the merger is not -- doesn't
15 qualify as such an event, but a change in treatment of
16 capital under an IMR does qualify -- IRM does qualify.
17 Where do you draw the line here? I might say -- and
18 perhaps, in fairness, I should give you a reference for --
19 well, let me try this on just for purposes of expediency,
20 and I think if you need a reference I can probably give it
21 to you, but in the technical conference we had a
22 conversation -- I had a conversation with Mr. Rietdyk, of
23 Union, and I think -- about productivity changes with the
24 merger, and I think this has been mentioned a couple of
25 times here in the proceeding this morning. One of the
26 things that Mr. Rietdyk said was, Well, we pretty much run
27 out of opportunities to increase the productivity of our
28 two gas companies, and in order to really start afresh and

1 have a new set of productivity opportunities we really must
2 do this merger.

3 So he was making a point, I thought, that this was a
4 quantum shift, that doing the merger would allow the two
5 companies to tackle some remaining inefficiencies, and much
6 of it has to do with back-office systems, amalgamating
7 various kinds of computer systems, and amalgamating their
8 customer-service computer systems; it is basically IT-
9 driven, and it drives out a whole range of alleged savings.

10 Now, given that sort of a background, why is it that
11 you would simply consider the merger -- as not a -- not an
12 event that would qualify for a transition?

13 DR. MAKHOLM: Okay, I'll take that last question that
14 by itself.

15 MR. BRETT: Fair enough.

16 DR. MAKHOLM: Because I -- that was a long question.

17 MR. BRETT: I agree.

18 DR. MAKHOLM: So let me just take the last one.

19 The basic regulatory compact was worked out in Canada
20 and the United States over the course of decades, sort of
21 ending with the Northwest Utilities decision and our Hope
22 decision in the 1940s.

23 It was the basic protection for the capital that
24 investors would put into the service of the public and be
25 assured that the actions of regulators would allow them to
26 get their money back with a reasonable return. That is the
27 basic incentive regulation that drives us all.

28 The I minus X business was an innovation on top of the

1 basic, what I have written about elsewhere as incentive
2 regulation 1.0, the basic regulatory compact with the
3 prudence part of it that allows customers to be served well
4 with reasonable costs.

5 I minus X is regulation 2.0, a way that
6 institutionalizes regulatory lag with the ability of costs
7 to keep up with inflation, the decoupling costs from prices
8 in order to incent new behaviour. I call it regulation --
9 incentive regulation 2.0.

10 Under 2.0, since the 19 -- since the early 2000s there
11 has been a great deal of amalgamations and mergers among
12 utilities, particularly in the States. We used to have 22
13 gas distributors in New England. Now I think we have four
14 or five. None of those combinations that were pursued for
15 the purpose of lowering costs or economies of scale had
16 anything to do with regulation -- incentive regulation 1.0
17 or 2.0.

18 The same cost-of-service prudent-based standard of
19 evaluating property, and it's the same -- if it's in
20 Massachusetts -- I minus X-based plan for incentivizing
21 extra good behaviour applied whether or not it was Boston
22 Gas or whether it's National Grid Gas that envelopes the
23 old Boston Gas with other companies. That did not change
24 the nature of regulation, just the combination, just like
25 these guys.

26 I don't see -- and in my experiences also that
27 regulators don't see -- combinations between companies done
28 for the purpose of lowering costs for the benefit of

1 consumers to be a regulatory change. It is just a
2 different change in operating the business under the same
3 regulatory regime that they currently have. And that's my
4 dividing line.

5 MR. BRETT: Let me ask you this: Could you -- and
6 I'll have to, I think, give you a reference here. This is
7 -- you want to look at -- this is in your evidence that
8 you're filing, which is Exhibit B, tab 2, and you want to
9 look at -- and I'm using the PBR numbers here. Well, no,
10 let's look at page 17. Look at page 17 of your submission.
11 I think this will get me what I need here. I'm not sure
12 this is -- I'm not sure --

13 DR. MAKHOLM: We're looking at the screen at page 15
14 of -- that I have numbered.

15 MR. BRETT: What about page --- well, let's look at
16 that and -- no, I want to ask you about the point that you
17 -- where you make the point that -- it may be page 19. If
18 we go to page 19, page 19 of the -- of your evidence, your
19 study. We're on page 7 here. Oh, I see that's my page 7.
20 All right. Yeah, okay, that's it. That's what I need.

21 If you look at A25, question and answer, okay? And
22 I'm -- I want to just read a brief passage:

23 "Indeed, the literature in using statistical
24 techniques to gauge efficiency levels across
25 different operations points to the usefulness of
26 using such methods for gauging efficiency levels
27 in the public sector, as contrasted with the
28 private sector."

1 And we're talking here about the stretch factor, and
2 you were -- and you were careful to observe in the next
3 paragraph:

4 "The stretch factors that the OEB used for its
5 third and fourth generation PBR plans, which I
6 understand embody such benchmarking, are
7 different than the type of stretch factors that I
8 find the AUC discussed. The label stretch is the
9 same, but the foundation and functions is
10 different."

11 The question I wanted to hone-in on is that you seem
12 to be saying -- my paraphrase -- that stretch factors are
13 okay for OEB to use with electricians, because they have 79 of
14 them and they have to figure out some way to regulate them.
15 So they use stretch factors to categorize them into
16 different levels of efficiency.

17 And then you also say,

18 "And by the way, they are more appropriate for
19 public sector companies than private sector
20 companies."

21 And my question for you is how -- where is your
22 evidence, or what do you rely on to say that stretch
23 factors should be more appropriately -- they are more
24 appropriately used by public companies, not in the sense of
25 publicly traded, but publicly owned companies but not by
26 privately owned companies? What's behind that?

27 DR. MAKHOLM: Well, I studied the issue and I provided
28 the footnotes for that.

1 Benchmarking, as you can imagine, is a fraught subject
2 because it depends on whether or not what you are choosing
3 to benchmark with something else has any commonality it
4 something else.

5 MR. BRETT: I'm sorry, I may have misspoken. I was
6 asking you about stretch factors in public versus private
7 companies.

8 DR. MAKHOLM: All right, I'm answering that direct
9 question, public versus private.

10 Look at the footnotes. I'm giving scholarly
11 references to the -- to benchmarking that happens for
12 public enterprises, schools or other public enterprises, as
13 opposed to private enterprises of an idiosyncratic nature,
14 like Union or Enbridge.

15 So in terms of what's my basis for my saying so, the
16 basis was to say that there is scholarly support, two
17 elements of which I cite, to support the OEB's use of
18 benchmarking for the purpose of creating a sorting out
19 high, medium, and low benchmarked electricity distributors
20 in the context of those being public enterprises.

21 I was basically saying there is support in the
22 literature for what the OEB is doing for those enterprises.

23 MR. BRETT: You didn't provide the support, though.

24 DR. MAKHOLM: I cited it right at the bottom of the
25 page.

26 MR. BRETT: I read your footnote many times, and it is
27 a reference to what looks like a European article on --
28 well, I can't tell whether it's European or North American.

1 But the footnote says:

2 "The frontier approach to the measurement of
3 productivity and technical efficiency in economic
4 issues."

5 That doesn't tell me whether that has anything to do
6 with energy. That looks to me to be a very broad brush
7 treatment of some theorist's view of public versus private
8 -- public versus privately-owned companies and how they
9 behave. And I just want to --

10 DR. MAKHOLM: You are right on that score, Mr. Brett,
11 you're right. They had nothing to do with energy. It was
12 just where benchmarking occurs with enterprises, it occurs
13 most -- and most effectively, according to these
14 scholars -- with public enterprises.

15 MR. BRETT: You are saying benchmarking again here
16 now?

17 DR. MAKHOLM: Yes.

18 MR. BRETT: I'm saying stretch factor; my question is
19 about stretch factor -- or maybe I should rephrase it a
20 little bit.

21 Is that -- are you not -- let me just be sure that I
22 am being fair to you, and fair to myself. Are you saying
23 that stretch factors are more likely to be useful if they
24 are used in publicly owned company relative to privately
25 owned companies. I thought that was part of the case
26 you're making.

27 DR. MAKHOLM: No. The question and answer 25, I tried
28 to word very carefully so as to not let things get away.

1 And the question has to do with measuring productivity
2 levels as opposed to productivity growth. And that's what
3 the answer was designed to illustrate, was where out in the
4 world do organizations, scholars, analysts measure
5 productivity levels for the purposes of doing whatever --
6 stretch factor, or rewards, or staffing, whatever they
7 happen to do.

8 Where in the world is productivity levels analysis --
9 where does it gain traction. And I've described that there
10 for the purpose of supporting the Bard's use of what it
11 does for benchmarking productivity levels, as opposed to
12 the growth bit that I do, for its electricity distributors.

13 It was there to say and to support for that element of
14 what the OEB does, in terms of basing its whole stretch
15 business -- a word that I wish they hadn't used. I wish
16 they had used another word. But it was there in support of
17 the Board for what it does not electricity front.

18 MR. BRETT: All right. So you are aware that in
19 Ontario, the LDCs, while they are publicly owned, are
20 commercial operations, effectively? They are incorporated
21 under the Canada Business Corporations Act; they are
22 expected to earn a return on capital. They are treated as
23 commercial corporations for purposes of regulation. Are
24 you aware of that?

25 DR. MAKHOLM: Yes.

26 MR. BRETT: All right. And it doesn't change your
27 answer at all?

28 DR. MAKHOLM: No. They are still owned by the public.

1 Whatever you call them, they are still owned by the public.

2 MR. BRETT: They are owned by -- and what does that
3 mean?

4 DR. MAKHOLM: They are political subdivisions of
5 Ontario.

6 MR. BRETT: No, they're not. They're separate
7 corporations. Maybe I should be a little clearer.

8 In the United States, when you have publicly owned
9 companies, you have rural co-ops or you have in certain
10 cities -- I think I asked you this at the technical
11 conference -- certain cities, the utilities are divisions
12 of the council. They are divisions of the municipal
13 corporations, right? Philadelphia, there are a number of
14 them. They tend to be divisions of the government.

15 In this province, they're not. They are specifically
16 by legislation required to incorporate separately, pay
17 dividends, earn a return on capital, and they are treat for
18 regulatory purposes as if they were privately-owned
19 companies. There isn't a distinction made.

20 Do you get that?

21 DR. MAKHOLM: Except one, there are no private owners.

22 MR. BRETT: Sorry?

23 DR. MAKHOLM: Except the most important one. There
24 are no investor-owned shareholders.

25 MR. BRETT: It doesn't matter.

26 DR. MAKHOLM: They do whatever they want, and there's
27 no reason why.

28 MS. SPOEL: Don't argue. You are getting very

1 argumentative.

2 MR. BRETT: I'm not arguing; I am trying to just
3 clarify the facts. The gentlemen is saying they can do
4 whatever they want.

5 MS. SPOEL: That's his answer. You keep saying to him
6 he's wrong. You are giving evidence if you say they can't.
7 It is very argumentative.

8 MR. BRETT: Let me move on with one last question. On
9 your --

10 MR. CASS: Could Dr. Makholm be allowed to finish the
11 answer?

12 MR. BRETT: I thought he was finished.

13 DR. MAKHOLM: I only have two sentences to finish.
14 And that is that I'm the most senior energy economist at
15 the largest and oldest firm of consulting economists in the
16 world.

17 I've seen public and private utilities on six
18 continents, hundreds of them, and the most important
19 dividing line between what we're talking about is whether
20 there are investor-owners or not. And no matter how you
21 characterize the corporation of a municipal distributor, if
22 it doesn't have private investor owners, it's not of that
23 type. And that's what I was trying to convey.

24 MR. BRETT: I looked at your -- at your submission of
25 your experience in some detail with some interest, and I
26 observed that of the 300 or so odd citations that you have
27 provided for work you had done, with the exception of a
28 handful, and I mean literally a handful, all of your work

1 was for privately-owned businesses.

2 And I take from that that your -- I asked -- I'll put
3 it this way to you. Have you had -- have you worked in --
4 for publicly -- public, in my sense, municipally-owned
5 utilities, government-owned utilities, in your career?

6 I think I put to you in the technical conference the
7 Bonneville Power, the Tennessee Valley Authority. We
8 talked about rural co-ops. We talked about divisions of
9 U.S. cities, city governments. And I didn't get the sense
10 that you'd done work, any work -- or if so, very little
11 work for these publicly-owned businesses.

12 DR. MAKHOLM: You saw that in my vitae that I did two
13 major pieces of work for the State of Alaska, my client,
14 against the owners of the Trans-Alaska oil pipeline,
15 America's biggest crude-oil pipeline.

16 MR. BRETT: I see.

17 DR. MAKHOLM: And in fact, my work for the state of
18 Alaska in the last case, which was a gigantic case,
19 involved the largest imprudence disallowance in the FERC's
20 history, pushed by the state of Alaska and two other oil
21 companies, in the state of Alaska was my client.

22 It is not right to say that I only work for private
23 companies. One of my largest assignments in 2017 and '18
24 is on a virtually constant basis of consulting for the
25 federal regulatory commission in Mexico to determine all of
26 the new regulatory open-access secondary market, tariff-
27 making, and billing aspects of their new regulatory regime
28 now that it is out from under the constitutional protection

1 from competition.

2 When it comes to dealing with regulated enterprises,
3 particularly when you look at a worldwide reach, since most
4 of the regulated enterprises outside of North America
5 started as public enterprises, a great deal of my work
6 happens for public enterprises and governments, and in
7 fact, of -- I just realized that I have to say that an
8 important job of mine that I did in the 1990s in Australia,
9 in Melbourne, was dealing with a publicly owned Gas and
10 Fuel of Victoria, which is where I met one of the current
11 vice-presidents of Amalco, when she worked at Gas and Fuel
12 of Victoria. Much of my work around the world in the past
13 30 years has been for public enterprises.

14 MR. BRETT: Just one last question. In the list of
15 companies that you used in your sample, or your population,
16 as you put it, I looked through this list fairly carefully.
17 I don't have the same level of knowledge of U.S. utilities
18 that you do, but I have some, and of these, what are there,
19 72 companies here in total, I pick out about 10 or 11,
20 between 10 and 12, that are what I'd call combination
21 utilities, gas and electricity. There are no pure gas
22 utilities, and there are -- the rest are electric
23 utilities; is that about right? Is that a fair summary?

24 DR. MAKHOLM: That's fair.

25 MR. BRETT: Okay. Those are my questions. Thank you.

26 MS. ANDERSON: Okay, thank you. Then we'll take a
27 one-hour lunch break and return with this panel. Thanks.

28 --- Luncheon recess taken at 12:35 p.m.

1 --- On resuming at 1:35 p.m.

2 MS. ANDERSON: I believe, Mr. Pollock, you are up next
3 for CME.

4 **CROSS-EXAMINATION BY MR. POLLOCK:**

5 MR. POLLOCK: Thank you very much, Madam Chair.

6 Good afternoon to the witnesses. My name is Scott
7 Pollack and I'm representing Canadian Manufacturers &
8 Exporters.

9 I would like to begin a discussion ...

10 MS. ANDERSON: Mr. Pollock, could you turn your
11 microphone up a bit? It's just --

12 MR. POLLOCK: Is this better?

13 MS. ANDERSON: Much better, definitely.

14 MR. POLLOCK: Excellent. Turning to question and
15 answer number 24 -- and I won't refer to this just yet, but
16 I wanted to have it in front of you to sort of prime our
17 conversation.

18 And I'd like to discuss the merger and your definition
19 of transitions, and I'm cognizant of the fact that you
20 spoke with Mr. Brett earlier, so I'm going to explore in a
21 different way.

22 The first thing that I'd like to discuss is the actual
23 mechanics of what happens when you move from a cost-of-
24 service regime to an incentive regime.

25 And as I understand it, the prime mover, the first
26 thing that happens is the Board makes a regulatory decision
27 to change regimes -- as you've called it, invoking PBR,
28 correct?

1 DR. MAKHOLM: Yes.

2 MR. POLLOCK: As a result of that decision, there has
3 been a disconnect between the previously-measured I minus X
4 productivity factor, I will call it, and what you
5 anticipate will be the actual number because there is this
6 change in behaviour. Is that in the neighbourhood?

7 DR. MAKHOLM: Well, drop the I minus X productivity
8 factor.

9 MR. POLLOCK: Okay.

10 DR. MAKHOLM: There is a disconnect between what you
11 observed in terms of the company's performance prior and
12 what you -- what you believe you will observe post.

13 MR. POLLOCK: Okay, so there is a disconnect between
14 what happened before, and what you've been able to measure
15 happened before, and what you think will happen going
16 forward?

17 DR. MAKHOLM: Yes.

18 MR. POLLOCK: And then the vehicle that the regulator
19 chooses to try and address that disconnect is the stretch
20 factor that they use their regulatory judgment and to try
21 to craft. Is that correct?

22 DR. MAKHOLM: That's a very good way to put it.

23 MR. POLLOCK: Thank you, I do try. So am I right in
24 thinking that the actual achievement of the productivity
25 gains is the product of two things. There is the
26 motivation for the company companies to go out and get
27 productivity gains, and there's productivity potential,
28 i.e. there are gains to go and get. Is that fair?

1 DR. MAKHOLM: Is that one thing or two?

2 MR. POLLOCK: Well, in my mind, there would be two
3 things. There would be the motivation to go and get them,
4 and then there would have to exist some productivity that
5 you are able to go and get once motivated.

6 DR. MAKHOLM: Okay.

7 MR. POLLOCK: Okay. So I just want to then compare
8 that to the mechanics of what's going to happen in this
9 proceeding.

10 So in this proceeding, the Board is once again the
11 prime mover. They are going to make a decision on whether
12 or not to approve the company's amalgamation, correct?

13 DR. MAKHOLM: I don't know the nature of that approval
14 as such.

15 MR. POLLOCK: Fair enough. We'll leave it to the
16 Board to figure out how they want to say it.

17 But the Board will make some sort of decision in this
18 proceeding, correct?

19 DR. MAKHOLM: Yes.

20 MR. POLLOCK: And would you agree with me that there
21 will then be a disconnect, not necessarily between the
22 behaviours, but the results of what we have previously
23 measured to be the productivity enhancements that the
24 companies have gained and what we can expect going forward?

25 DR. MAKHOLM: No, not a regulatory disconnect, no. If
26 the disconnect we were talking about in your previous
27 question had to do with a change in the regulatory regime,
28 that it those things that you discussed, those two things;

1 that's the same.

2 MR. POLLOCK: So am I right in thinking that absent
3 the discussion of the regulatory context, that we -- in the
4 previous several years of measurement, we can expect going
5 forward there to be a very different productivity
6 achievement on the part of the companies than has been
7 previously the case?

8 DR. MAKHOLM: We don't know. There may be, to the
9 extent that some economy of scale for this amalgamated
10 company produces ratepayer benefits, yes. So for this
11 company, that's the anticipation, that this will lower
12 rates for consumers, and that's the salutary purpose for
13 which they're pursuing this amalgamation.

14 MR. POLLOCK: So I guess you no doubt have anticipated
15 me. But isn't it open to the Board to then try and
16 anticipate -- in the same way that they've tried to use the
17 stretch factors as a vehicle to anticipate the previous
18 difference between what we observed and what we expect
19 going forward, isn't it acceptable for the Board to use a
20 stretch factor to try and anticipate the difference now
21 between the previous results and the new results?

22 DR. MAKHOLM: This isn't friendly cross, is it?
23 Because the answer to that question is no, that would be
24 entirely elicited to try to anticipate what the benefits
25 would be of a merger and then to take them.

26 That removes the incentive. The incentive on a well-
27 founded I minus X regime is that you've got a new measure
28 of unbundled -- of -- and timely movement in prices,

1 uncoupled with more regulatory lag that permits the company
2 to profit and keep it until the next rebasing.

3 And if you construe that and tilt it to say that in
4 the judgment of the finders of fact here, they want to take
5 those specific benefits away before they happen, to trash
6 the incentive.

7 MR. POLLOCK: I wanted to pick up on one thing. I've
8 seen in your testimony and again here, you've pointed out
9 specific benefits. So am I to understand that one of, if
10 not the only differentiating factor is in the change of
11 regulatory regime, there's going to, say, be an
12 unidentified basket of efficiencies and the X factor
13 anticipates those unnamed efficiencies, whereas to take a
14 specific efficiency and to anticipate that, is that the
15 part of the dividing line?

16 DR. MAKHOLM: No.

17 MR. POLLOCK: So when you talk about applying it to a
18 specific incentive, or behaviour that they go ahead with,
19 why do you keep using "specific"? Why is that part of your
20 answer in every case?

21 DR. MAKHOLM: That doesn't pertain to the dividing
22 line.

23 It's true. You are right to point out that X stands
24 for stuff that we can't name. Hence we use X, like the
25 performance, X factor on TV; we don't know. But the regime
26 is the decoupling and the lagged -- and the regulatory lag.
27 That's the new regime; that's regulation 2.0.

28 We only fool around with X to see whether we can use

1 Stats Canada's inflation measures confidently.

2 That's the regime, and in that regime, there is no
3 appropriation of efficiencies in advance, except for that
4 thing called stretch, which is there only to reflect the
5 transition as it's commonly understood.

6 We are not that specific or general. That's not part
7 of the business.

8 MR. POLLOCK: Okay. I guess now with that answer, the
9 issue that I'm having is why is it acceptable to anticipate
10 some of the benefits in advance the first time, for the
11 original stretch factor?

12 Still, it seems to me what you are doing is you're
13 saying you are going to gain a bunch of efficiencies later
14 on, at some point during the term, and right now we are
15 going to take that from you, and we are going to give it to
16 ratepayers.

17 So why is it okay the first time, but not the other
18 times?

19 DR. MAKHOLM: Because adding -- as it's generally
20 accepted and agreed among the experts, not just me, the
21 changing from regulation 1.0, as I defined it this morning,
22 to regulation 2.0 and institutionalizing regulatory lag
23 with decoupling is a major change.

24 Ontario has done it. Alberta tried it at the same
25 time, but they lost -- they lost the will to continue until
26 Willie Grieve came back as the chairman of the AUC.

27 That change is big and important. It requires either
28 legislation or agreement among the players. It's a big

1 deal, but it's a big deal if it's based on principle. And
2 the general agreement is that it will incent a new kind
3 behaviour. It didn't show up in the old data, but we
4 reasonably accept that it will show up in the new data.
5 And that's why we have a stretch factor.

6 It is going from regulation 1.0 to 2.0 and the
7 transition between the two.

8 MR. POLLOCK: Let me see if I can follow-up with you
9 in terms of -- I think you said, and you can correct me if
10 I'm wrong, but if you allow -- if you as the regulator take
11 away the efficiencies that would be gained by a specific
12 measure that's undertaken, you've destroyed or undermined
13 the incentive. That's sort of the heart of what we're
14 trying to do; is that a fair paraphrasing of what you were
15 saying?

16 DR. MAKHOLM: Yes.

17 MR. POLLOCK: Isn't that only true if there's no
18 incentive left? So I'll tell you what I mean: If you
19 stand to gain, as an actual number, if we were all-knowing,
20 if you stood to gain .5 percent every year, as
21 efficiencies, and the stretch factor was only .3, wouldn't
22 there still be an incentive to go and pursue the rest of
23 that, because you would be better off than the alternative
24 of not pursuing it. Isn't the incentive still there in
25 that case?

26 DR. MAKHOLM: The premise of your question, Mr.
27 Pollock, is incorrect.

28 MR. POLLOCK: Okay.

1 DR. MAKHOLM: The size of the X factor or the size of
2 the X factor plus stretch has nothing to do with
3 incentives. As the AUC described, I think fairly, it does
4 transfer money from consumers to shareholders or from
5 shareholders to consumers, but it doesn't affect the
6 incentive. The incentive comes through the decoupling and
7 the lag, not the size of the X factor. All we're trying to
8 do is mimic what's happening in the world with the X bit,
9 and in this case Lowry and I propose no X, in a world
10 that's generally accepted stretch has a role to play, in
11 the cusp of 1.0 to 2.0, but outside of that accepted role,
12 I think it would be seen as opportunistic for these kinds
13 of companies.

14 MR. POLLOCK: So I want to just explore a little this
15 idea of the size of the stretch factor and its effect on
16 the incentive.

17 So my understanding was, in your evidence earlier, if
18 you had a bunch of productivity benefits that the company
19 could achieve over the course of the term, that's the
20 incentive. They get -- for the time they start the plan to
21 the time they end the plan, they get to keep whatever
22 efficiencies they've made, and that's what incents them,
23 right?

24 DR. MAKHOLM: Within the context of earnings sharing
25 and such, yes.

26 MR. POLLOCK: And my understanding was that if you
27 took that away from them in advance then there would be no
28 incentive, right?

1 DR. MAKHOLM: Well, would affect nothing at the
2 margin, and that's where the incentive lies, is at the
3 margin. Whatever happened in the proceeding, whatever the
4 X, if stretch is decided as a result of this, if the
5 company's faced during the time that this rebasing period
6 is in effect with the ability to do something to save a
7 buck, they have that incentive at the margin, whether they
8 are in a hole or not, whether they are underearning or
9 overearning, and so that's the incentive property of I
10 minus X regulation. It happens at the margin.

11 And what we're discussing in terms of setting the size
12 of an X or stretch factor involves deciding whether you are
13 going to put the company -- where you're going to put the
14 company in this hole to ladder --

15 MR. POLLOCK: Right.

16 DR. MAKHOLM: -- before they decide on the incremental
17 benefits of pursuing some activity that could save them
18 money.

19 MR. POLLOCK: All right, so I guess, just to sum that
20 up, there is a world that's possible that there is a
21 stretch factor, and they are still on the ladder, rather
22 than in the hole, right?

23 DR. MAKHOLM: Ladder or hole, I'm -- I'm sorry, I'm
24 responsible for the metaphor --

25 MR. POLLOCK: You can feel free to abandon it if you
26 like.

27 DR. MAKHOLM: I'd like to abandon it.

28 MR. POLLOCK: Okay, we can try something else. Sorry,

1 could you -- go ahead.

2 DR. MAKHOLM: At the end of this discussion, the
3 incentives, the companies feel, at the margin, when a
4 proposal comes up to save money, irrespective of whether
5 there they are in the hole or on a ladder -- sorry.

6 MR. POLLOCK: We're back to the hole and the ladder?

7 DR. MAKHOLM: I see we are going back. But do you see
8 -- I hope that that's clear enough.

9 MR. POLLOCK: I think I understand what you're saying,
10 in terms of, the incentive exists, regardless of whether
11 you are putting them behind the eight ball or not.

12 DR. MAKHOLM: Or have put them, conjunctively
13 speaking.

14 MR. POLLOCK: But then the incentive exists regardless
15 of whether there's an X factor, which was why I'm confused
16 as to why you say to anticipate -- I think if we can go to
17 question and answer 42 -- 32. Lines 7 and 8. Oh, sorry,
18 one page down. You say at line 7:

19 "But if the stretch factor is repurposed to be a
20 way of trying to take those efficiencies before
21 they happen then it will undermine the basis for
22 incentive regulation."

23 And I guess my confusion comes about, if the X factor
24 doesn't really change the incentive, if they are still
25 incented to do it whether they are hole or ladder, why is
26 this destroying the basis for incentive regulation?

27 DR. MAKHOLM: Focus on the word "basis."

28 MR. POLLOCK: Okay.

1 DR. MAKHOLM: Any regulation 2.0 regime, I minus X or
2 equivalent, depends on the credibility of the regime to do
3 what it said it was going to do. It depends on some
4 objective credibility. And what I'm saying here, if you
5 take something called stretch and for these companies use
6 it just as a way to appropriate gains without -- that is
7 just as a way of transferring money to consumers away from
8 the company, in this case \$400 million over the 10-year
9 rebasing period, you are in this case -- forget the
10 electrics -- undermining the credibility of the commitment
11 to pursue this kind of I minus X regulation.

12 It is as if you took a term, not X, Z, or something,
13 but invented a new term, and said that we, Ontario, for
14 these two distributors are going to have a W term, and the
15 W term is to -- something new that we are going to do to
16 transfer money, even though we're calling it I minus X
17 regulation, and in my experience, in front of regulators,
18 for instance, like the AUC, credibility and consistency was
19 the most important thing for them, and I think it's still
20 important here to have a regime for these companies that's
21 based on accepted principles, and that's our quibble about
22 stretch.

23 MR. POLLOCK: And I guess this will my final question,
24 because I'm conscious of my time. In terms of credibility
25 and consistency, I believe Mr. Millar took to you a number
26 of documents, including the previous plans that both
27 utilities are under, and those would include, as I
28 understood it, something approximating a stretch, correct?

1 DR. MAKHOLM: Yes.

2 MR. POLLOCK: Thank you. Those are my questions.

3 MS. ANDERSON: Thank you, Mr. Pollock.

4 I believe Mr. Shepherd is next.

5 MR. GARNER: No, I believe it's --

6 MS. ANDERSON: Do I have that right?

7 MR. GARNER: It's me.

8 MS. ANDERSON: Were you next? Oh, yes, sorry, I
9 didn't see you at the end there. Sorry, Mr. Garner.

10 **CROSS-EXAMINATION BY MR. GARNER:**

11 MR. GARNER: Can you hear me, Madam Chair? I hope the
12 panel can hear me.

13 Good afternoon, Mr. Makhholm, my name is Mark Garner,
14 and I'm a consultant with the Vulnerable Energy Consumers'
15 Coalition, and in the vein of Dr. Higgin, I consider myself
16 an economist, just not a very good one, and so I'm not
17 going to ask you anything about depreciation in my cross-
18 examination.

19 What I'd like to focus on is the issue of the stretch
20 factor, like many people have, and I found your in-chief
21 very helpful, by the way, where you went through it this
22 morning, and maybe I can say it back to you just so I think
23 I understand what you were saying.

24 The stretch factor in the TFP PBR framework that you
25 are talking about has a specific meaning, and you've gone
26 over this a few times, it seems to me, and that specific
27 meaning is, it's to capture these anticipated efficiencies
28 in the rate-making regime change, and we don't have to talk

1 about how long that is, because you've discussed that too,
2 but that's your definition of that term. You are saying it
3 is very specific in your work; is that correct?

4 DR. MAKHOLM: Yes.

5 MR. GARNER: Right, and you went on to say, in the
6 electricity area, the stretch factor is for a different
7 purpose, and I think you said it might have been better
8 described with a different word because it really isn't to
9 the same -- to the same model or same framework. Is that
10 correct also?

11 DR. MAKHOLM: In my opinion, it doesn't conform to the
12 same term of art that is accepted elsewhere, yes.

13 MR. GARNER: Yeah, thank you. That's it. So I don't
14 know if I should call that, from what you just said, just
15 recently, to a W factor or an incentive factor, but can I
16 just call that for electricity an incentive factor so as we
17 go -- there is a difference between the stretch factor and
18 this incentive factor that you and I can keep in our heads.

19 What I'm curious about that is I want to explore that
20 difference a bit. But before I -- as I do, what I'd like
21 to understand is a lot of the work you've been discussing
22 also relies on -- or you've discussed on the Alberta
23 Utilities Commission work.

24 Now, I'm not familiar with that work, that proceeding.
25 But was that proceeding at all about utilities merging, or
26 combining in any sense?

27 DR. MAKHOLM: It wasn't about it, but it didn't
28 exclude any of that.

1 MR. GARNER: Well, was it an application for two
2 utilities to merge? Let me put it that simply.

3 DR. MAKHOLM: No, it was not.

4 MR. GARNER: So the panel wasn't being asked the
5 question: How does one deal with the stated productivity
6 savings that will arise out of this merger, as the
7 applicant themselves have now -- have put in their
8 evidence.

9 It wasn't addressing that question at all in that
10 proceeding, it was?

11 DR. MAKHOLM: No.

12 MR. GARNER: Thank you. Now, I was a little curious
13 about the conversation that you had with Mr. Brett this
14 morning. You were talking about -- now I'm going to talk
15 about the incentive factor in electricity.

16 You were talking about electricity and the incentive
17 factor, and the difference in electricity potential because
18 of ownership -- municipal ownership, in this case -- and
19 there was a little back and forth about what that meant.

20 I'm not really quite clear on how that has a bearing
21 on an incentive factor or not. I mean, you were suggesting
22 there is a meaning to that ownership and it affects those
23 -- the use of, let's say, an incentive factor, not a
24 stretch factor; is that what you are saying?

25 DR. MAKHOLM: I wasn't saying anything, I think, so
26 specific.

27 All I was contending when I had the back and forth
28 with Mr. Brett about ownership was that scholarship

1 supports levels benchmarking studies among public agencies.

2 I didn't say energy. I just said public agencies.

3 And how that comes about, how you deal with incentives
4 involved and so on, was not a part of that discussion on
5 that point.

6 MR. GARNER: So am I to -- am I to draw any
7 conclusions by the fact that in electricity, there is an
8 incentive system with this municipal corporation that was
9 discussed vis-a-vis looking at this utilities, privately
10 owned utilities, that I should draw some sort of conclusion
11 from that?

12 That's where I'm confused. What are you trying to
13 tell me? Are you trying to tell me that the incentive
14 factor might be different under a municipal ownership vis-
15 a-vis a private ownership?

16 DR. MAKHOLM: I'd answer two ways. One, the
17 incentives bearing on public owners as opposed to private
18 owners is a big deal, and it's widely accepted.

19 If it weren't widely accepted, we wouldn't have had a
20 worldwide wave of privatization that was started by
21 Margaret Thatcher's government in the 1980s to pursue
22 greater efficiency among privately owned enterprises
23 transformed out of public enterprises.

24 That's a trend that is accepted broadly, way beyond
25 Ontario.

26 MR. GARNER: Right.

27 DR. MAKHOLM: The other part of my answer has to do
28 with what's going on with the particular incentives of the

1 individual municipal distributors, whether they are
2 corporatized or not. And I really don't have any opinion
3 on those things.

4 MR. GARNER: Right. Can I -- just switching, I was
5 looking at your CV; it is very impressive. But I did
6 notice -- is this the first time you've appeared in front
7 of the Ontario Energy Board?

8 DR. MAKHOLM: Yes.

9 MR. GARNER: Welcome. I hope you had no problem
10 getting across the border.

11 DR. MAKHOLM: Don't get me started.

12 MR. GARNER: That's okay. If we're stopping
13 economists, it may not be the worst thing, but...

14 The reason that I asked is after listening to that
15 discussion with Mr. Brett is have you done work for Fortis,
16 one of the Fortis companies out west in Canada?

17 DR. MAKHOLM: Yes. Fortis has been a client of mine
18 in some major cases before the NEB.

19 MR. GARNER: Are you aware that Fortis is a
20 shareholder in what's called a municipal -- you've
21 described and people have described as municipal
22 corporations in Ontario, these municipal utilities. Are
23 you aware that they are an investor in some of those
24 companies, some of those companies?

25 DR. MAKHOLM: Yes. I think they two they have two or
26 three, including Algoma.

27 MR. GARNER: Right. Those companies do have private
28 ownership. That's why I was wondering when you said --

1 when Mr. Brett was talking about the difference in Ontario,
2 they do have private ownership in them. And I'm wondering
3 why then your distinction is meaningful in Ontario.

4 DR. MAKHOLM: In my testimony, I said mostly
5 municipal-owned, and that's still the case. There are two,
6 or three, or four -- I forget the count -- that are owned
7 by investors like Fortis. I think Fortis is the one.

8 But that does not change the nature of the regulatory
9 burden having to deal with scores of electricity
10 distributors in Ontario that this Board has to deal with.

11 MR. GARNER: So you say owned by Fortis; do you mean a
12 hundred percent owned by Fortis?

13 DR. MAKHOLM: I don't know. I do know that there are
14 some municipal distributors that have caps on other types
15 of ownership, like pension funds, trustee organizations and
16 others.

17 MR. GARNER: Right.

18 DR. MAKHOLM: And there are those handfuls, two, three
19 or four, that as far as I understand, are wholly owned by
20 Fortis.

21 MR. GARNER: Right, okay. Thank you, Madam Chair,
22 those are my questions. Thank you, Dr. Makholm.

23 DR. MAKHOLM: Thank you.

24 MS. ANDERSON: Thank you. Now, Mr. Shepherd.

25 **CROSS-EXAMINATION BY MR. SHEPHERD:**

26 MR. SHEPHERD: Madam Chair, because I am vetting clean
27 up, I have no compendium.

28 I do have a bunch of questions and I will try to stay

1 within my 30 minutes, counting now.

2 MS. ANDERSON: 01 and counting.

3 MR. SHEPHERD: The first question, Dr. Makholm -- we
4 talked at the technical conference.

5 The first question is -- I just wanted to clarify. In
6 the second Alberta case, the most recent Alberta case, you
7 were not involved, right?

8 DR. MAKHOLM: Correct.

9 MR. SHEPHERD: So the AUC did not come back to you for
10 further work on that?

11 DR. MAKHOLM: That's correct.

12 MR. SHEPHERD: Is there any particular reason, or --
13 I'm just fishing here. I don't know.

14 DR. MAKHOLM: I had given them a data set and a plan
15 and a method, and had told them that one of the reasons
16 that I did that in the first case was they ought to be able
17 to do it themselves in subsequent cases, given that there
18 was no proprietary data, no transparent method. And my
19 expectation was they can do that for themselves thereafter.

20 MR. SHEPHERD: So they didn't need you any more,
21 basically.

22 DR. MAKHOLM: As far as I understand, they did not.

23 MR. SHEPHERD: Thank you. I want to talk -- you've
24 talked a little bit about the purpose of stretch factors,
25 and I want to step back one step and talk about something
26 that you talked about a little earlier in cross-examination
27 with Mr. Millar, the purpose of IRM itself.

28 And you said the purpose of IRM is to benefit

1 ratepayers through promoting efficiency, right?

2 DR. MAKHOLM: Yes.

3 MR. SHEPHERD: And in fact, I think -- was it you, Mr.
4 Kitchen, who agreed that the whole point of having a
5 stretch -- of structuring your application the way it was
6 was to show a benefit to the customers? Right?

7 MR. KITCHEN: Yes, in the end, there will be a benefit
8 to the customers.

9 MR. SHEPHERD: All right. So if the purpose of a
10 stretch factor is to share some of the benefits of IRM with
11 customers, but you say that at this point, stretch factor
12 -- there are no more benefits to get, the stretch factor
13 doesn't have anything to capture, then why are we doing
14 IRM?

15 DR. MAKHOLM: You're asking me?

16 MR. SHEPHERD: Yes.

17 DR. MAKHOLM: I don't agree with the premise of your
18 question, Mr. Shepherd. First you said that the that the
19 stretch factor was there to share the benefits of IRM.
20 That gives it a much more heroic purpose than I ever would
21 have agreed to.

22 Stretch factor is there at the cusp between regulation
23 1.0 and 2.0, and that's it for me. It's not there to share
24 anything.

25 MR. SHEPHERD: What's the purpose of having it?

26 DR. MAKHOLM: The purpose of any incentive regulatory
27 regime is to benefit consumers of public services.

28 MR. SHEPHERD: Why the stretch factor? What's the

1 purpose of having it in the formula when you go from 1
2 to 2?

3 DR. MAKHOLM: It -- I mean I can go through this again
4 if the Board would like me to. Otherwise I can refer to
5 what took up a half hour this morning. I think I've been
6 through that on the stand. It's your call.

7 MR. SHEPHERD: So you don't have an answer is what
8 you're saying?

9 DR. MAKHOLM: I do have an answer, and I went through
10 it at length this morning about the purpose of the stretch
11 factor.

12 I hope you don't think I'm being cheeky, but I
13 understand -- if you would like me to, I'll do it again.

14 MR. SHEPHERD: I am trying to get at something that is
15 implicit in what you're saying. You're saying that once
16 you are at this stage in the process where you're in the
17 fourth generation, there are no incremental benefits to
18 get.

19 That's what you've said. You've said that's the
20 reason why you don't have a stretch factor.

21 DR. MAKHOLM: I'm sorry, that's not what I said. I
22 didn't say there are no benefits to get. I said there's no
23 role for the stretch at this fourth generation stage.

24 We still don't know what the company will do, either
25 combined or separate, to create efficiencies to benefit
26 ratepayers. That's the unknown future territory. They've
27 talked about taking the low-hanging fruit. Great. They've
28 taken the low-hanging fruit.

1 We can't predict the future. We don't know the
2 technology that's going to happen in the future. We have a
3 good idea. But where all the efficiencies are coming from,
4 we're going to let them figure it out as their own
5 management and staff come at them with new ideas and new
6 formulas. We don't --

7 MR. SHEPHERD: How is that different from IRM?

8 DR. MAKHOLM: -- have to predict those, but that's why
9 we have the length of the period that we do, to allow them
10 with a ten-year rebasing to seek out ways of investing
11 money and earning returns during that longer rebasing
12 period than they would under a five-year rebasing period,
13 but we don't have to identify what those are in order for
14 the regime to do its job.

15 MR. SHEPHERD: Dr. Makhholm, do you think we have a
16 ten-year IRM period in Ontario?

17 DR. MAKHOLM: It is the rebasing period that they
18 proposed.

19 MR. SHEPHERD: And do you think that applies to
20 anybody who is not doing a merger? Do you know? I'm not
21 asking you, Mr. Kitchen. I know you know.

22 MR. CASS: Well, Mr. Shepherd, I don't think he ever
23 said or implied to any such thing. He just referred to the
24 ten-year rebasing period that is proposed by the applicants
25 in this case.

26 MR. SHEPHERD: Actually, what Dr. Makhholm said is the
27 reason why you have ten years instead of five is to get
28 them more chance to get efficiencies. Isn't that right,

1 Dr. Makhholm?

2 DR. MAKHOLM: It's my understanding that that's the
3 basis of the filing in this case and the questions before
4 the Board.

5 MR. SHEPHERD: And you weren't aware that that only
6 applies in Ontario in the case of a merger, were you?

7 DR. MAKHOLM: I don't know "applies". I know that it
8 applies in this case. Applies generally, I'm not here to
9 testify on.

10 MR. SHEPHERD: All right. What I'm trying to
11 understand is this: Something happens as you go further
12 into IRM in third- or fourth- or fifth-generation that I
13 understood you to say there's less efficiency to get. Is
14 that not what you're saying?

15 DR. MAKHOLM: That's not what I'm saying.

16 MR. SHEPHERD: Well, then if there is a stretch factor
17 when you go from one to two, that transition, because there
18 is efficiencies available and you want to share them, then
19 why isn't that also the case when you are going from four
20 to five?

21 DR. MAKHOLM: Because you've misconstrued my
22 testimony.

23 MR. SHEPHERD: Okay.

24 DR. MAKHOLM: When you say "you want to share them",
25 what does that mean? In my parlance, it means you want to
26 share the efficiencies, so you rebase and capitalize those
27 for the benefit of consumers. That's what the rebasing is
28 for, to share all the accumulated salutary efficiency

1 projects and money-saving activities that the company has
2 engaged in over the respective ten-year rebasing period and
3 you get those into rates when you rebase.

4 Now, there are a couple of other explicit sharings.
5 There is the earnings sharing after the six years --

6 MR. SHEPHERD: Can I stop you for a second? I didn't
7 ask you about sharing; I asked you about stretch factor.

8 DR. MAKHOLM: No, you had --

9 MR. SHEPHERD: No --

10 DR. MAKHOLM: -- "share" in your question, Mr.
11 Shepherd --

12 MR. SHEPHERD: Well, you can't just pick a word;
13 that's not how it works.

14 MR. CASS: Madam Chair, I don't think these questions
15 are fair at all. Mr. Shepherd is asking questions about
16 broad concepts and subjects, and Dr. Makholm is doing his
17 best to respond. I think the answer was quite responsive
18 to Mr. Shepherd's proposition about sharing with
19 ratepayers.

20 MR. SHEPHERD: My proposition was the stretch factor
21 is there to share with ratepayers. If it's not there to
22 share the benefits with ratepayers, Dr. Makholm, what's it
23 there for? Because that's what your evidence is.

24 DR. MAKHOLM: Well, I stand on my evidence. It's
25 there to reflect the different incentives when you move to
26 regulation 2.0.

27 MR. SHEPHERD: You said that a stretch -- that the I
28 minus X formula doesn't incent the utility. I just heard

1 you talking about that. So if it's not an incentive then
2 what is it?

3 DR. MAKHOLM: It's to reflect the regime change.

4 MR. SHEPHERD: And the regime change then that -- you
5 are reflecting the regime change by incenting or by
6 sharing? What's the stretch factor for?

7 DR. MAKHOLM: As I said the first thing this morning,
8 the stretch factor is to reflect the different incentives
9 under a new regime that are not manifested in the data that
10 we have for companies like these in the years before they
11 had the new regime.

12 If we had data to look at over the course of 15 or 20
13 years that includes the varied incentives that come with a
14 new regime, then we would assume then we would assume that
15 the effects of those various incentives would be in those
16 data that we would measure, but it's not in the period
17 before we invoke regulation 2.0.

18 MR. SHEPHERD: Excellent.

19 DR. MAKHOLM: That's the nature of the stretch factor.

20 MR. SHEPHERD: Excellent.

21 DR. MAKHOLM: It's to bridge, going from one to the
22 other.

23 MR. SHEPHERD: So basically, if you measure
24 productivity under cost of service you won't capture the
25 different incentives that exists under IRM, so you have to
26 adjust for it with the stretch factor; is that right?

27 DR. MAKHOLM: It is an anticipatory move to reflect
28 what you postulate, what the Board believes those data

1 would have shown had they been dealing with a different
2 incentive scheme all along.

3 MR. SHEPHERD: So my experience is that good companies
4 can always do better, they can always find more
5 efficiencies. Is that your experience too?

6 DR. MAKHOLM: I don't know any reason why I would
7 question that statement.

8 MR. SHEPHERD: All right. So then if this Board
9 concludes that one of the purposes of a stretch factor is
10 to share in advance, to build in for the customers sharing
11 of the benefits of the expected efficiencies, would you
12 agree that a stretch factor is appropriate in this case, if
13 that's the purpose of it?

14 DR. MAKHOLM: No.

15 MR. SHEPHERD: Okay, why not?

16 DR. MAKHOLM: I just told you my definition of
17 stretch.

18 MR. SHEPHERD: I didn't ask that. I asked you, if
19 this Board decides that a purpose is to share benefits,
20 then would you agree a stretch factor does that?

21 DR. MAKHOLM: No. I would -- if asked that question,
22 I would say I disagree with the premise of that question.
23 I disagree with the premise of the repurposing of the
24 stretch factor, and I talked about that in my testimony. I
25 used that term, "repurpose." And if you repurpose the
26 stretch factor, as you're hypothesizing, it's my writing in
27 my testimony, I've written it down, that you project an
28 undermining of the credibility of the regime. That's my

1 opinion as I wrote it in my testimony.

2 MR. SHEPHERD: So -- and if I understand that thesis,
3 it is, if you take away the efficiencies from the utility
4 in advance, you're basically demotivating them to get the
5 efficiencies; is that fair?

6 DR. MAKHOLM: That's a good way of putting it.

7 MR. SHEPHERD: Okay, but then you just said in
8 response to my friend here that it doesn't matter whether
9 you're down here or up there -- I'm not going to use hole
10 and ladder -- it doesn't matter where you are. You are
11 still incented to save the next bundle if it's available,
12 right?

13 DR. MAKHOLM: But we went there with your friend, and
14 it was -- it had to do with whether or not, whether in the
15 hole or in the ladder, the ability to contemplate actually
16 profiting from your innovations is there with a credible
17 regime.

18 That's -- and that's why I said that repurposing the
19 stretch factor for something different than it's accepted
20 by the wider world of economists out there, and regulators,
21 including the AUC, would undermine the basis for incentive
22 regulation.

23 MR. SHEPHERD: So if you called it something else, if
24 you called it a guaranteed earnings sharing, let's say --
25 in fact, utilities have done that -- if you called it that,
26 that would be okay?

27 DR. MAKHOLM: What utilities have done that?

28 MR. SHEPHERD: There have been utilities in Ontario

1 that have said we'll guarantee an earnings sharing. Hydro
2 One does that all the time.

3 DR. MAKHOLM: As part of a settled practice, I
4 presume.

5 MR. SHEPHERD: No, no, as part of the proposal.

6 DR. MAKHOLM: Well, it sounds like a settlement to me.

7 MR. SHEPHERD: I'm just telling you what they do.

8 DR. MAKHOLM: And so if a company decides to do such a
9 thing, it is free for the company to do that. This company
10 hasn't done that.

11 MR. SHEPHERD: That's -- sorry, I took you off on a
12 tangent. My fault.

13 My question is: If you call it guaranteed earnings
14 sharing, it is it now okay because it's not sullyng the
15 words "stretch factor"?

16 DR. MAKHOLM: If the effect is to, in a way other than
17 the way that they've proposed already with their earnings-
18 sharing, to do what the stretch factor proposes to do in
19 this case, the .3 applied to a base for the ten years,
20 which is worth \$400 million to them, if there's something
21 else that as a result of the end of this case, presages the
22 removal of \$400 million from them to ratepayers over the
23 ten years, it doesn't matter what you call it.

24 MR. SHEPHERD: It is interesting you say \$400 million
25 dollars; that was my next question.

26 So if you do the math on 0.3, what you find is that
27 it's \$412 million over ten years. You knew that, right? I
28 mean obviously you ...

1 DR. MAKHOLM: That's what I understand.

2 MR. SHEPHERD: Okay. So you're arguing all these
3 reasons why you wouldn't want a stretch factor, but another
4 possible reason is that you can't show \$411 million of
5 savings from stand-alone as the company has, that is
6 benefit to customers, if you have a stretch factor in your
7 assumptions, can you?

8 It's still a question for you, doctor.

9 DR. MAKHOLM: I don't know if that's a question. I
10 don't talk about the outcome in this case.

11 MR. SHEPHERD: I'm putting to you, because you did
12 know the \$400 million number -- I'm putting to you that the
13 reason why you're recommending no stretch factor is so that
14 my friends here can claim they are giving a \$411 million
15 benefit to their customers, when in fact all they're doing
16 is playing with the numbers, with your assistance. That's
17 what I'm putting to you.

18 DR. MAKHOLM: I can't help you. I have no answer to
19 that.

20 MR. SHEPHERD: So you are denying that that was the
21 reason for your recommendation?

22 DR. MAKHOLM: I don't even understand your question.

23 MR. SHEPHERD: All right. I'll try it again. Your
24 proposal to have no stretch factor is built into the
25 company's forecast of revenues, both stand-alone and
26 Amalco.

27 That forecast says there is \$411 million of benefits
28 to their customers built into the structure. Those

1 benefits do not exist if there's a stretch factor. They
2 are wiped out almost to the dime. I don't believe in
3 coincidences. I'm asking you did you have a hand in that?

4 DR. MAKHOLM: I don't know what you're speaking about.

5 MR. SHEPHERD: All right. I'll move on.

6 I want to move to capital and I'll start with one-hoss
7 shay, just because when I was in law school I was a big fan
8 of Oliver Wendell Holmes until I learned more about him.

9 But nonetheless, there is -- I want to ask two
10 questions about it, and I don't want to get into the
11 details.

12 The first question is you were asked by Mr. Millar, I
13 think, about whether there is a mathematical difference
14 between one-hoss shay and geometric decay, in terms of the
15 results of a TFP study, and you said you didn't know.

16 I would have thought that for you, who use the math
17 all the time, you should know that if you keep everything
18 the same, one-hoss shay will produce lower TFP. Is that
19 not correct?

20 DR. MAKHOLM: That's not correct.

21 MR. SHEPHERD: It's not correct?

22 DR. MAKHOLM: No.

23 MR. SHEPHERD: Then the next thing I want to just talk
24 about on one-hoss shay is -- one-hoss shay, the actual poem
25 is about one carriage that falls apart after it's a
26 hundred years old. Until then, it's fine. And that's the
27 concept that you are talking about.

28 But you are not dealing with single assets, are you?

1 Aren't you dealing with pools of assets?

2 DR. MAKHOLM: You are dealing with the summation of
3 individual assets.

4 MR. SHEPHERD: Well -- and that's a pool of assets,
5 right?

6 DR. MAKHOLM: No, it's the summation of individual
7 assets.

8 MR. SHEPHERD: So in your work, you use probabilistic
9 analysis, don't you?

10 DR. MAKHOLM: No.

11 MR. SHEPHERD: You don't use probabilistic analysis?

12 DR. MAKHOLM: Well, other than describing an average.
13 Other than taking geometric means to construct an index
14 number, the answer is no.

15 MR. SHEPHERD: So you wouldn't be aware, for example,
16 that the expected useful life, the expected time when an
17 asset dies, may be a particular time for a single asset.
18 But for a whole body of assets, it's actually a curve,
19 isn't it?

20 DR. MAKHOLM: I'm aware of that.

21 MR. SHEPHERD: And that curve exactly matches
22 geometric decay, doesn't it? In fact, that's where it
23 comes from, isn't it?

24 DR. MAKHOLM: No, not necessarily. No, advance
25 accelerated techniques for depreciation can come from many
26 places. But this has nothing to do with the way in which I
27 created an index number for capital.

28 I mean, I don't care what those numbers show because

1 we have the pleasure with Form 1 data of calculating all
2 additions and all retirements, the summation of both of
3 those for every company for every year in the population.

4 So, we don't have to deal with hypothetical
5 depreciation curves or geometric decay curves; that has
6 nothing to with the creation of that index number.

7 That is one of the great benefits of using Form 1
8 data. We can -- we can treat assets as they're treated by
9 the companies in real world. The truck stays on the job
10 until the truck is retired. The pipe stays full and
11 shipping gas until the pipe is withdrawn from service.

12 That's the way the actual assets work; that's the way
13 the one-hoss shay method treats them when determining an
14 index for productivity.

15 MR. SHEPHERD: And the thousand trucks in the Utility,
16 they actually end their lives and are taken out of service
17 on a parabel (sic), or whatever that's called, which
18 roughly matches geometric decay, isn't that right?

19 DR. MAKHOLM: I'm not sure the pathway or the rough
20 average.

21 MR. SHEPHERD: Right.

22 DR. MAKHOLM: I do know that trucks last different
23 periods of time. But that doesn't trouble utilities and
24 regulators, as long as the average retirement matches the
25 expected period of time over which, for rate-making
26 purposes, they're depreciated.

27 But that has nothing to do with my analysis.

28 MR. SHEPHERD: I'm still on the subject of capital.

1 You said in your -- when you were being cross-examined by
2 Dr. Higgin, that ICM is a cost of service based capital
3 tracker -- I actually have some checkmarks where you said
4 that again and again.

5 That's right, right? The ICM model is basically a
6 cost-of-service type of model?

7 DR. MAKHOLM: That's my understanding.

8 MR. SHEPHERD: Okay, good. And you also said that the
9 purpose of having capital trackers -- of which ICM was one,
10 right?

11 DR. MAKHOLM: Yes.

12 MR. SHEPHERD: Is that new territories that you are
13 adding are further away, so they're more expensive to get
14 to when you are adding customers, and new capital is more
15 expensive -- and I assume you mean more expensive in real
16 terms, not in nominal terms, right?

17 DR. MAKHOLM: In dollar terms.

18 MR. SHEPHERD: Okay. But if new capital is more
19 expensive -- it is more expensive relative to inflation,
20 that is it's inflated in cost exactly the same as
21 inflation, then it shouldn't matter, right? That will be
22 captured in your --

23 DR. MAKHOLM: What do you mean by it shouldn't matter?

24 MR. SHEPHERD: Because that will be captured in your
25 IR term, right.

26 DR. MAKHOLM: No. I was giving example of why you
27 would conclude that the I minus X formula applied to the
28 current rate base of the company. It wouldn't produce

1 number money for them to go out and do the things that the
2 regulatory compact compels them to do, like look up
3 customers who are due to be hooked up under their own line
4 extension policy, or replace cast -- replace pipes or
5 assets or facilities that have to be replaced.

6 It's just a well known fact that for a number of
7 reasons, the new facilities cost more than the old
8 facilities do, not just for inflation, but because new
9 technology has better materials, and there are more
10 permitting requirements, and there are zoning things that
11 didn't come into play in 1950. There are all sorts of
12 different reasons why maintaining, and adding to, and
13 extending the reach of a gas distributor is more expensive
14 on average than is reflected in the current rate base.
15 Lots of reasons.

16 I only give a couple of examples. I did not mean to
17 say that I covered the landscape.

18 MR. SHEPHERD: So you have evidence that new capital
19 is systematically more expensive?

20 DR. MAKHOLM: Yes.

21 MR. SHEPHERD: Okay. Where?

22 DR. MAKHOLM: I was involved for Atco Gas in their
23 tracker case to document those things.

24 MR. SHEPHERD: And you filed some evidence here that
25 says that new capital is systematically more expensive for
26 a gas utility in Ontario.

27 DR. MAKHOLM: No.

28 MR. SHEPHERD: You actually haven't looked at that,

1 have you?

2 DR. MAKHOLM: I have looked at that a great deal in
3 General, but I haven't applied any testimony to this case.
4 That will come up when the company files its ICM.

5 MR. SHEPHERD: So your --

6 DR. MAKHOLM: The Board will have the ability to
7 evaluate those projects and determine their justness.

8 MR. SHEPHERD: So you are not giving an opinion on
9 whether the proposed capital tracker here is appropriate,
10 are you?

11 DR. MAKHOLM: I wasn't asked to judge the proposed
12 capital tracker here, but it does serve a purpose that I
13 think is useful in charting the cost of these areas.

14 MR. SHEPHERD: I'm sorry, you are an expert witness.
15 Are you giving an opinion on the capital tracker or not? I
16 thought it was a yes or no question.

17 DR. MAKHOLM: I -- and my answer is yes.

18 MR. SHEPHERD: Okay.

19 DR. MAKHOLM: Qualified the way I did it.

20 MR. SHEPHERD: Okay. And so where's the opinion in
21 your evidence? Because I didn't see it.

22 MR. CASS: You just asked him for his opinion, Mr.
23 Shepherd, and he gave it to you.

24 MR. SHEPHERD: No, I asked him whether he's -- as an
25 expert witness he is giving an opinion on it, and he said
26 yes.

27 MR. CASS: Yes.

28 MR. SHEPHERD: So that's the first time I've heard his

1 opinion.

2 MR. CASS: Well, you asked.

3 DR. MAKHOLM: I listed in the voir dire section of my
4 testimony the projects that I'm talking about, including my
5 work for ATCO and my work for Gaz Métro, having to do with
6 extending its lines to its Saguenay and Eastern Township
7 networks, which did involve raising their general average
8 cost of their rate base to get there, having to do with the
9 larger expense of extending to those townships than
10 otherwise.

11 So I did put you on notice that I had done that work.
12 Now, you didn't ask me for those testimonials, but you
13 could have, and what they would have said was, as is
14 generally known to be the case, and what fuels capital
15 trackers everywhere, is that new stuff costs more on
16 average per customer than old stuff does, and dealing with
17 the new stuff being more expensive than the old stuff,
18 which is what fuelled the adoption of my capital tracker
19 proposal in AUC 1 and the new proposal at AUC 2, that's not
20 something that's contradicted by the general vibe of
21 incentive regulation; it's accepted.

22 MR. SHEPHERD: If it's not true in Ontario that new
23 customers are more expensive to attach than old customers,
24 then is it true that your theory is incorrect?

25 DR. MAKHOLM: No.

26 MR. SHEPHERD: In Ontario?

27 DR. MAKHOLM: The theory is the concept. Of course
28 the answer to that is no. I -- it is sort of a silly

1 question. To the extent that the new stuff is more costly
2 than the old, they'll file the incremental capital module
3 so that the Board can judge that for itself. It's an
4 empirical question in this case. It is not a theory that
5 I'm talking about; it is a concept, given the data that
6 happens in the world. It is what fuels capital trackers
7 everywhere.

8 MR. SHEPHERD: Here's where I'm going with this. The
9 thing that I've never understood is if you look at TFP
10 studies -- and I'm sure you've seen way more of them than I
11 have, but I've seen dozens, sadly -- and in almost every
12 case where they look at capital productivity and OM&A
13 productivity, the capital productivity is worse. I
14 actually haven't seen an example where that isn't true; is
15 that your experience too?

16 DR. MAKHOLM: No.

17 MR. SHEPHERD: So you don't generally find that
18 capital productivity is lower than OM&A productivity?

19 DR. MAKHOLM: No.

20 MR. SHEPHERD: Okay. So wasn't that true in your
21 study?

22 DR. MAKHOLM: I don't believe so, but I never asked
23 that question. That wasn't the point of my study.

24 MR. SHEPHERD: Okay.

25 DR. MAKHOLM: I gave everybody all the data, and if
26 they wanted to do different things with it, they were
27 perfectly willing to do so, but I never did those things.

28 MR. SHEPHERD: Well, in fact, Dr. Lowry took your data

1 and he found that on your data capital productivity was
2 much worse than OM&A productivity, right?

3 DR. MAKHOLM: I don't recall what he did with it in
4 that respect.

5 MR. SHEPHERD: Here's why I'm asking that. That may
6 well reflect what you are talking about; that is, capital
7 has a tendency to end up being more expensive, and that
8 would drive down productivity, right?

9 DR. MAKHOLM: I don't know what he did with my data in
10 that respect. I wasn't interested. But to the extent that
11 it takes more capital per MCF or per customer, as you
12 expand and update gas distributorships, you would think
13 that that would somehow come out in the wash.

14 MR. SHEPHERD: If we generally find, in Ontario, that
15 capital productivity for gas is lower than for -- than OM&A
16 productivity, if we generally find --

17 DR. MAKHOLM: If you what? What was the second thing?

18 MR. SHEPHERD: Lower than OM&A productivity.

19 DR. MAKHOLM: OM&A?

20 MR. SHEPHERD: Or operating productivity, if we
21 generally find that, is it true then that that could be
22 capturing the effect you are talking about, the reason why
23 you have a capital tracker, which is that your capital is
24 inherently costing more money every year; is that possible?

25 DR. MAKHOLM: It is possible, but I wouldn't ascribe
26 any particular weight to it. It doesn't affect our rate-
27 making.

28 MR. SHEPHERD: Well --

1 DR. MAKHOLM: I don't see why you would find that an
2 important fact.

3 MR. SHEPHERD: Well, because from ratepayers' point of
4 view, they feel like it's double-counting. They feel like
5 you're getting -- you are building into the total factor
6 productivity figure the negative or low capital
7 productivity, and you are getting extra money for your
8 capital. How is that fair?

9 DR. MAKHOLM: Well, it's nothing in it that's even a
10 shade of double-counting. This company is not asking for
11 anything other than the cost of serving the public, either
12 in its rebasing or in its capital program. There's no
13 double-counting in this respect. There is only counting.
14 They are only adding it up. They are not adding it up more
15 than once.

16 MR. SHEPHERD: Yeah, but that would actually be cost
17 of service, wouldn't it?

18 DR. MAKHOLM: Well, that's what the rebasing is.

19 MR. SHEPHERD: Oh, you think there is a rebasing here?

20 DR. MAKHOLM: There will be a rebasing when this
21 rebasing happens. Yes, there will be a rebasing at the end
22 of the period that is specified in the request for this --
23 this proceeding.

24 MR. SHEPHERD: Well, we don't have one now, do we?

25 DR. MAKHOLM: No.

26 MR. SHEPHERD: So then how are they counting?

27 DR. MAKHOLM: How are they counting?

28 MR. SHEPHERD: Yeah, you said they are counting

1 everything up --

2 DR. MAKHOLM: I said --

3 MR. SHEPHERD: -- counting up their cost, sorry, how
4 is that?

5 DR. MAKHOLM: The -- I think you've misconstrued what
6 I said, Mr. Shepherd. The -- and we were talking about
7 costs and whether there was double-counting, and I said
8 that rates, today's rates -- we're not the rebasing now,
9 but they came from a rebasing. The company is proposing a
10 rebasing in the future. Those are the adding up of costs;
11 that's how we denominate the property that the owners have
12 in this enterprise, and it is really important that we do
13 it carefully, and during the period of time that -- before
14 the next rebasing, the incremental capital module is there
15 to record the necessary costs that these guys require to
16 serve the public in the judgment of the Board to cover the
17 incremental cost needed to do so.

18 In none of that is there a double-counting. It's only
19 once.

20 MR. SHEPHERD: Have you looked at the ICM formula?

21 DR. MAKHOLM: Yes.

22 MR. SHEPHERD: And does it capture what you are
23 talking about?

24 DR. MAKHOLM: I conclude that it does.

25 MR. SHEPHERD: So it captures only the costs that are
26 incremental to your productivity study.

27 DR. MAKHOLM: That's my understanding, yes.

28 MR. SHEPHERD: And did you do analysis of that?

1 MS. ANDERSON: Mr. Shepherd, you are -- you are over
2 your time. I just want to --

3 MR. SHEPHERD: This is my last question. Did you do a
4 study of that?

5 DR. MAKHOLM: I read the incremental capital module
6 and looked at the formula. It looks a little bit like --
7 it looks reasonably similar to the formula that I proposed
8 for the AUC and AUC 1.

9 MR. SHEPHERD: So the answer is in terms of
10 calculating whether that formula captures only the capital
11 incremental to your productivity study, you didn't do that
12 math, did you?

13 DR. MAKHOLM: Nothing is incremental to my
14 productivity study. I never said anything incremental to
15 my productivity study. I just said the cost I needed to
16 serve the public under the regulatory compact that they
17 live in. And that's the fuel for capital trackers, but
18 there's nothing about them that is what you described to be
19 a double-counting, in my opinion.

20 MR. SHEPHERD: Thank you, Madam Chair, for the
21 indulgence.

22 MS. ANDERSON: With that, Mr. Cass, do you have any
23 re-exam?

24 MR. CASS: I have a few questions, Madam Chair. Thank
25 you.

26 **RE-EXAMINATION BY MR. CASS:**

27 MR. CASS: So panel, during Mr. Shepherd's cross-
28 examination he was attempting to make a connection between

1 the ratepayer benefit that the applicants have presented in
2 evidence in this case of approximately \$400 million and the
3 approximately \$400 million impact of a stretch factor being
4 imposed.

5 Mr. Kitchen or Mr. Culbert, can you first of all
6 explain, where did the calculation of the 400 and -- I
7 think it's \$11 million ratepayer benefit come from?

8 MR. CULBERT: The 400 and -- I think it's 410 million,
9 411, is from the no-harm test that appears in our evidence,
10 and is basically the calculation of the comparison between
11 a stand-alone Union and EGD operations and the Amalco under
12 a price cap.

13 MR. CASS: And then where did the other 400
14 odd million figure come from being the impact of a 0.3
15 percent stretch factor?

16 MR. KITCHEN: We took the stretch factor that was
17 proposed by Mr. Lowry at .3 percent, and did a calculation
18 to determine what that was.

19 MR. CASS: Did you have that stretch factor proposed
20 by Dr. Lowry at the time of calculating the other
21 \$400 million figure that you've referred to, the ratepayer
22 benefit comparing the price cap scenario to the status quo
23 scenario?

24 MR. KITCHEN: No, we did not.

25 MR. CASS: Just one other question. At the end of Mr.
26 Pollock's cross-examination -- sorry, I'm just looking for
27 my notes here -- there was a reference to what he referred
28 to as approximating a stretch factor in the previous gas

1 utility plans.

2 Can the panel, anybody on the panel, comment on this
3 notion that there was something approximating a stretch
4 factor in the previous gas utility plans, and what
5 implications that would have in terms of a stretch factor
6 for Amalco?

7 MR. KITCHEN: I can start with Union. When we
8 negotiated the settlements that we are currently just
9 wrapping up, we negotiated a 60 percent X factor as a
10 percentage of inflation. And the way it was written in the
11 settlement agreement was that that was an X factor
12 inclusive of stretch.

13 When we used those words, from my perspective, that
14 just means that there is no additional stretch to be added
15 to the amount that was negotiated.

16 MR. CULBERT: For EGD, the conversation I had with --
17 I think it as with Mr. Millar, in the Board's decision in
18 the custom IR application, the Board reached a conclusion
19 that it was imputing some further productivities and used
20 the word "stretch" implicit in that productivity.

21 So in effect, when they approved the custom IR
22 application, they disassociated the rates that we were
23 getting from our forecast of cost with the inclusion of a
24 productivity factor and, in their view, inclusive of a
25 stretch factor.

26 Whether our evidence suggested there was a stretch
27 included, like I've said, I would have to check our
28 evidence to be sure of that.

1 I know we included productivities embedded in our
2 application.

3 MR. CASS: And, Dr. Makholm, does that tell us
4 anything about the stretch factor for Amalco?

5 DR. MAKHOLM: Not to me.

6 MR. CASS: Thank you, Madam Chair, that's my re-
7 examination.

8 MS. ANDERSON: Thank you. We'll take five minutes to
9 -- yes?

10 MR. SHEPHERD: I'm sorry, I have a procedural request.

11 MS. ANDERSON: Okay.

12 MR. SHEPHERD: The question has been raised whether --
13 I raised the question whether the two 400 millions are the
14 same.

15 This will come back up when the -- when panel 1
16 returns, because obviously they'll be talking about their
17 results and the \$400 million benefit.

18 I wonder whether it would be helpful to the panel if
19 the applicants took FRPO 11, which has all those
20 calculations in it, and reran them with a 0.3 stretch
21 factor on both sides where you would have a stretch factor.

22 We don't have the live versions of those. I don't
23 believe we do. I think we have just dead versions, and I
24 wonder if it would be helpful to see what the result is.

25 MS. ANDERSON: Okay. I'm not understanding the FRPO
26 reference.

27 MR. SHEPHERD: Sorry, FRPO 11 is the response that has
28 all of the calculations and assumptions that lead to the

1 \$411,000,000 ratepayer benefit.

2 MS. ANDERSON: I think we'll take five and get the new
3 panel coming, and then we'll come back.

4 --- Recess taken at 2:40 p.m.

5 --- On resuming at 2:49 p.m.

6 MS. ANDERSON: Mr. Millar, I look to you.

7 MR. MILLAR: Yes, thank you, Madam Chair. Good
8 afternoon. We are pleased to present Dr. Mark Lowry to
9 present his testimony. Perhaps we could have him affirmed.

10 **OEB STAFF - PANEL 1**

11 **Mark Lowry; Affirmed.**

12 MS. ANDERSON: Mr. Millar.

13 MR. MILLAR: Thank you, Ms. Spoel, Madam Chair. I
14 will be seeking to have Dr. Lowry qualified as an expert in
15 regulatory economics and incentive regulation plans and in
16 particular total factor productivity. I've canvassed my
17 friends, and I understand there are no objections to that,
18 so I propose to go through this relatively quickly.

19 Dr. Lowry's CV is attached to his report, which is
20 filed as Exhibit M1, and I think we see it there on the
21 screen now.

22 Dr. Lowry is well-known to the Board. He has been
23 qualified as an expert here and testified in several
24 proceedings before the Board. Elsewhere he has been
25 qualified and given testimony in more than 30 proceedings
26 on TFP and related issues. He has also published widely on
27 the topic, and all of that is contained in his CV, but I
28 don't propose to go through it all unless it would be of

1 assistance to the Panel or if there is some objection that
2 I'm not expecting.

3 So with that, I'm asking that he be qualified as an
4 expert in regulatory economics and incentive regulation
5 plans with a particular focus on total factor productivity.

6 MS. ANDERSON: Okay. I see no objections. We agree.

7 **EXAMINATION-IN-CHIEF BY MR. MILLAR:**

8 MR. MILLAR: Okay, thank you.

9 Good afternoon, Dr. Lowry. You prepared the report
10 that was filed by Board Staff and has been labelled Exhibit
11 M1?

12 DR. LOWRY: Yes.

13 MR. MILLAR: Have there been -- and this report was
14 prepared you or under your supervision?

15 DR. LOWRY: I'm sorry?

16 MR. MILLAR: This report was prepared --

17 DR. LOWRY: Yes.

18 MR. MILLAR: -- by you or under your submission?

19 DR. LOWRY: Yes.

20 MR. MILLAR: And are there or have there been any
21 corrections that you need to make to your report?

22 DR. LOWRY: Yes, there was a round of errata that was
23 distributed to the party, and this, in turn, required some
24 revisions to our responses to some information requests
25 that had referred to the original research, so that is all
26 noted -- hereby noted.

27 DR. MILLAR: And did any of these errata or changes
28 change the conclusions to your report?

1 DR. LOWRY: No.

2 MR. MILLAR: Okay. You also -- you referenced the
3 interrogatory questions. You either prepared the responses
4 or they were prepared under your supervision?

5 DR. LOWRY: Yes.

6 MR. MILLAR: And other than the changes we just
7 discussed there are no further changes?

8 DR. LOWRY: No.

9 MR. MILLAR: And you adopt all of this as your
10 evidence in this proceeding?

11 DR. LOWRY: Yes, I do.

12 MR. MILLAR: Okay. Thank you.

13 Dr. Lowry, we just have a few minutes for you to
14 provide a high-level summary of your report. I am
15 wondering if you could start with a summary of your
16 analysis, conclusions, with respect to the productivity
17 factor.

18 DR. LOWRY: Okay. Well, as we all know by now, the
19 applications hired Dr. Jeff Makholm, senior vice-president,
20 NERA, to provide X factor testimony in this proceeding.

21 Dr. Makholm has done a number of past productivity
22 studies, and he's also generally known to provide
23 reasonable productivity factor recommendations in IR
24 proceedings.

25 That said, NERA's evidence is problematic in several
26 respects that should, in my opinion, be brought to the
27 Board's attention.

28 Number one, they made a pretty big mistake when they

1 estimated the TFP trends of Enbridge and Union, and I'll
2 discuss this a little bit more later on.

3 Secondly, they prepared a study of productivity trends
4 of U.S. energy distributors, and this study is also
5 problematic in ways that the Board should be aware of.

6 I'll start just by saying that the study is not, in my
7 opinion, very relevant. The study addressed the
8 productivity of U.S. electric utilities in the provision of
9 power distribution services, whereas the applicants provide
10 gas distribution services and also transmission and storage
11 services. All gas costs were removed from the study for
12 the few utilities that provide both gas and electric
13 services.

14 Now, it could be a necessary evil to entertain a power
15 distribution productivity study if good data were not
16 available to measure gas productivity, but, in fact, there
17 is good data available for this purpose.

18 Now, Dr. Makhholm noted this morning that this data is
19 provided to state commissions and not to a single federal
20 regulatory agency, and that is true, but what he didn't say
21 is that these studies use the FERC Form 2 as their
22 template, and this is the template for interstate pipeline
23 companies in the United States, and many interstate
24 pipeline companies, incidentally, provide gas distribution,
25 some gas distribution services, and so therefore it's a
26 very satisfactory basis for a productivity study.

27 Now, this being the case, numerous gas utilities over
28 the years have submitted gas utility productivity studies

1 in IRM proceedings like this one, and we need look no
2 farther than Enbridge Gas Distribution that has done it on
3 two separate occasions, once by the Brattle Group and once
4 by Concentric Energy Advisors.

5 Another concern I have about the relevance of this
6 study is that it excluded costs of administration and of
7 customer services, such as billing, metering and billing.
8 Actually, possible that the metering was included, but the
9 customer care services were excluded, and this is
10 unfortunate, because these are certainly important costs of
11 the applicants, as well as the fact that in a merger
12 situation, these are the principal areas where merger
13 savings are likely to come from.

14 Now, NERA, however, has provided these costs in
15 earlier studies. They did. I believe that they took them
16 out when they were doing the study for Alberta, because
17 Alberta utilities, peculiarly, do not provide the full
18 range of customer services, but in prior studies I believe
19 that they had included these studies.

20 And lastly, as Dr. Makhholm mentioned right before he
21 left the witness stand, there is no evidence provided on
22 the productivity of OM&A and capital input separately, and
23 it turns out that this is quite relevant to this particular
24 proceeding.

25 Now, the study is also problematic in that it shows a
26 marked decline in the TFP of U.S. power distributors after
27 2000, and this means that the results are extremely
28 sensitive to the choice of a sample period.

1 Several utility witnesses have seized upon this
2 opportunity to embrace Dr. Makholm's -- NERA's methodology,
3 but have argued that a truncated sample period be used, say
4 one starting around the year 2000, that would produce a
5 productivity trend of around negative 1 percent.

6 And in my opinion, if this study is embraced
7 uncritically by the Board in this proceeding, you can look
8 forward to seeing the same strategy play out in a
9 prospective fifth-generation IRM proceeding here in
10 Ontario.

11 Now, the study also uses problematic methods, and to
12 ease the Board's review of these I've tried to talk about
13 the important issues and the numerous issues that aren't so
14 important, and today I just want to focus on two issues
15 that do matter quite a bit, and one is the volumetric
16 output index that NERA uses.

17 As I explained in section 3 of my report, when a
18 productivity index uses a volumetric output index, the
19 results are very sensitive to the trend in the average use
20 of energy by the residential and commercial customers of
21 the distributor.

22 And as it happened, there was a very sharp change in
23 this trend for U.S. power distributors around the year
24 2000. And this, indeed, is the very reason for the
25 dramatic decline -- principal reason for the dramatic
26 decline in productivity growth that is found using the NERA
27 methodology.

28 Now, here again, if this was just part of a reality we

1 would all have to deal with that would be one thing, but in
2 fact the applicants have proposed a continuation of the
3 normalized average consumption or average use adjustments
4 that they have had in their previous IRMs, and so they are
5 essentially a separate rate-making treatment for the trend
6 in residential and commercial average use.

7 In my opinion, therefore, in view of the fact that
8 they have these provisions in their plans, the appropriate
9 output measure to use in this study should have been the
10 number of customers served.

11 Now, the second concern I have is about the one-hoss
12 shay method, and there has already been a fair bit of
13 conversation about this where the idea of one-hoss shay is
14 that when you invest in an asset, it provides a constant
15 flow of services until it is retired, sort of like a light
16 bulb.

17 And I would note, first of all, that two utility
18 witnesses have in the past touted the benefits of a one-
19 hoss shay approach. And in each case, the Board went out
20 of its way to provide some push back, most recently in the
21 hydroelectric generation proceeding where this was proposed
22 by London Economics. And the Board said on that occasion
23 that it felt that it was not reasonable to assume a
24 constant service flow from electric utility assets.

25 Now, there are many other arguments against one-hoss
26 shay, as there are some arguments against geometric decay,
27 which is the one that I've used in this proceeding, and I
28 wanted to focus here today and in the report emphasize that

1 my biggest concern about its use in an application to power
2 distribution is just that it is hard to do accurately.
3 Because capital quantity depends on the quantity of
4 retirements and the practitioner measuring the productivity
5 has data from the FERC Form 1, in his case, for the value
6 of retirements. But he does not know the age of the
7 retirements. So he has to come up with an assumption about
8 the average service life.

9 The lower is the average service life, the slower is
10 the productivity growth.

11 Now, NERA assumed a 33-year average service life and I
12 have provided evidence in this proceeding from three
13 different sources to show that this is an unrealistically
14 low number.

15 For one thing, the companies have average service
16 lives of around 37 years. We did a survey of power
17 distributor testimony in recent proceedings which showed
18 that the average service life was typically around 44
19 years. And then we did our own calculation using
20 retirements data of the average service life that seems to
21 be implicit in retirements. And all of them pointed to an
22 average service life that was well above 33 years.

23 Now, for these and other reasons, the one-hoss shay
24 approach to measuring capital quantities is not widely
25 used. It is not just a matter of situations where
26 retirement data is unknown. In utility X factor
27 calibration studies, the one-hoss shay has been more the
28 exception than the rule, except recently when the result

1 came out about this negative productivity trend that has
2 incented a number of utility witnesses to suddenly embrace
3 this method.

4 To give you examples of studies that did not use one-
5 hoss shay are the two studies that were previously done by
6 Enbridge Gas Distribution witnesses, both of which used the
7 geometric decay approach.

8 Now, I was also asked to provide some independent
9 calculations on the productivity issues, and so the first
10 thing I did was try to correct for the error that I
11 mentioned before in Dr. Makholm's results. And it did show
12 that for one utility, it didn't matter very much. But for
13 the other utility, there was a substantial increase in the
14 estimated total factor productivity trend.

15 But equally of interest, in my opinion, was the fact
16 that my study did break down the OM&A and capital
17 productivity of Enbridge and Union, and showed that the
18 productivity trends -- the OM&A productivity trends of both
19 of them were in the neighbourhood of one percent. They are
20 proposing the zero percent, but the OM&A productivity that
21 they've actually realized is more like one percent.

22 Now, I also endeavoured to test the sensitivity of
23 some of Dr. Makholm's methods, and I showed that if you use
24 a more appropriate average service life assumption and use
25 the number of customers as the measure of output and make a
26 few other small changes, but otherwise stick with his
27 general approach -- that I might say is doing one-hoss shay
28 more correctly -- the estimated productivity trend since

1 the year 2000 rose from negative 1.21 percent to positive
2 0.49 percent.

3 I also estimated the productivity of a large sample of
4 U.S. gas utilities using the sort of data that we were
5 discussing earlier, and actually found there that the
6 productivity trend was a little less than one percent on
7 average for the utilities in the study. It was actually
8 negative 0.23 percent.

9 But I also found that the productivity of OM&A inputs
10 was much more rapid than the productivity of capital
11 inputs. OM&A productivity was averaged a 0.88 percent
12 growth, whereas capital productivity averaged a 0.98
13 percent decline.

14 MR. MILLAR: Thank you, Dr. Lowry. We're almost at
15 the end of our time for examination in-chief. Could I ask
16 you to very quickly go over your conclusions with respect
17 to the stretch factor, and I think we'll have to leave it
18 at that?

19 DR. LOWRY: Okay. Well, the applicants propose zero
20 percent, and Dr. Makhholm supports this by arguing that
21 stretch factors are -- well, I thought his argument was
22 only warranted in first generation IR. But actually what
23 he said when asked that question was what the Alberta
24 commission thought of that issue, and that is their
25 opinion.

26 I will say, based on my experience, that there is no
27 consensus at all amongst regulators or regulatory
28 economists that a stretch factor is only for the purposes

1 of sharing the benefits of the initial introduction of PBR.

2 There are in fact several good reasons to continue
3 stretch factors in subsequent plans. For example,
4 utilities are not necessarily efficient after one or two or
5 three plans. For example, Enbridge Gas Distribution has
6 had negative productivity growth since the year 2000.

7 Utilities in productivity samples generally do not
8 operate under PBR, so taking an average of their trends is
9 not necessarily a good target for the applicants.

10 Finally, when a product -- a stretch factor is linked
11 to a benchmarking study, there is definitely an incentive
12 impact of having the stretch factor mechanisms, as the
13 Board has said itself in past decisions.

14 And I would add to this that this impact is especially
15 big on investor-owned utilities. I mean, if there is one
16 problem with the regulation of publicly-owned utilities
17 it's that oftentimes they are not very responsive to the
18 incentives.

19 For these reasons, many regulators, in addition to the
20 Ontario Energy Board, use stretch factors in second, third
21 and fourth generation plans. And in addition to British
22 Columbia, I would also emphasize the state of Massachusetts
23 where Dr. Makholm lives recently approved a stretch factor
24 for Eversource Energy.

25 Lastly, I would just note that one of the arguments
26 against linking stretch factors to benchmarking studies
27 that has been raised in this proceeding is whether or not
28 you can count on the results of a statistical benchmarking

1 study. And I would just note in this regard that I have
2 twice testified on behalf of Enbridge Gas Distribution on
3 productivity studies in their rate applications.

4 MR. MILLAR: Thank you very much, Dr. Lowry. I think,
5 unfortunately, that brings us to the end of our time.

6 Madam Chair, Dr. Lowry is now available for cross-
7 examination.

8 MS. ANDERSON: Thank you. Dr. Higgin, I think you are
9 first.

10 DR. HIGGIN: Thank you, Madam Chair.

11 I'll still be using our compendium, and my references
12 and so on start at page 20, and the extracts and so on that
13 I will be using with Dr. Lowry follow that in the last part
14 of the compendium.

15 So it starts at page 20, panel 5, and that's what I'll
16 be using with Dr. Lowry. I'm just waiting until everybody
17 has that.

18 MS. ANDERSON: I didn't hear what you said.

19 DR. HIGGIN: I'm just waiting until everybody has it.
20 I can see everybody shuffling papers.

21 MS. ANDERSON: It is up on the screen, so I would
22 proceed.

23 **CROSS-EXAMINATION BY DR. HIGGIN:**

24 DR. HIGGIN: Okay. Thank you. So good afternoon, Dr.
25 Lowry.

26 DR. LOWRY: Good afternoon.

27 DR. HIGGIN: As you know, I am Roger Higgin for --
28 consultant to Energy Probe, and as you would know, we've

1 crossed paths many times in the past and still do in other
2 places such as Quebec, so nice to see you here.

3 So I would like to have some -- talk to you about some
4 questions that I have, both arising from your report and
5 evidence but also, without going into big criticisms of the
6 NERA report, how things link into their study. Okay?

7 So the topics I've hoped to cover with you quickly in
8 this period is these follow-ons, and they're on the page 20
9 of the compendium, and those are the areas that I'll be
10 exploring with you. Okay?

11 So the first area is just a bit of information about
12 your retainer, then about your sample of utilities compared
13 to, for example, NERA, and then some questions about cost
14 of service versus IRM PBR regulation. So that's the first
15 topic.

16 So first about the retainer, so can you confirm
17 whether you were retained and Pacific Economics LLC by
18 Board Staff before or after the rate-setting application
19 had been filed and the supporting NERA TFP study? That
20 would be somewhere around November. Did your retainer be
21 before that or did it follow that?

22 DR. LOWRY: You know, I confessedly do not remember.
23 I mean, that as matter of semi-public record, whether it
24 was known or not at the time.

25 DR. HIGGIN: Yes, the implication here -- and I'm just
26 going to go to my next question -- is: So was that
27 retainer directly related to the applicant's rate proposal
28 and NERA study; i.e., that was the framework that you were

1 provided to work with or -- this is important -- were you
2 given latitude to do a study of gas utility TFP and
3 benchmarking, as you have done for the Ontario electricity
4 distribution industry?

5 DR. LOWRY: Well, I recollect that we were -- I mean,
6 the way this usually works is that my main charge is to
7 review the empirical evidence and then to provide
8 independent evidence to the extent required. And in this
9 case, after a while it was decided that there was need for
10 a gas productivity study. There certainly was no need for
11 an electric study, but there was deemed to be some need to
12 show the sensitivity of the NERA study to some of the
13 assumptions that they use and some of the specifications
14 that they have.

15 So there was envisioned as a very good chance that I
16 would need to provide some sort of supplemental evidence,
17 and then they decided that that supplemental evidence would
18 take the form of a gas study.

19 DR. HIGGIN: Right, so just to clarify, that was a
20 TFP-based study, as opposed to one that included
21 benchmarking?

22 DR. LOWRY: Well, that's right, that's -- benchmarking
23 is a whole 'nother can of worms --

24 DR. HIGGIN: Yes.

25 DR. LOWRY: -- often very helpful to have the
26 cooperation of the utility, and was never envisioned, I
27 believe, for -- it was never considered an option.

28 DR. HIGGIN: Okay, I just wanted to clarify the

1 framework that you were working with.

2 DR. LOWRY: So I was telling you other planned
3 provisions, did I -- just to make sure I mention that I was
4 asked to review other planned provisions.

5 DR. HIGGIN: Okay. Thank you.

6 So the next question relates to your sample of
7 utilities, and I think you covered this in-chief, but just
8 to be clear, between the two samples can you just summarize
9 your study sample and NERA's in layman's terms and what was
10 included in the two samples, please.

11 DR. LOWRY: Well, we try, when we do a study like
12 this, to have as big a sample as practicable. Sometimes
13 cost considerations enter in. There are some problems that
14 need to be fixing, and don't have time or possibly funding
15 for them, but we have, in this study, a, you know, a rather
16 large sample, a rather diverse sample, that includes some
17 smaller utilities as well as most of the larger U.S.
18 utilities.

19 Now, we do the same thing when we do a power
20 distribution study, and our -- I don't know -- Dr. -- I've
21 heard Dr. Makholm say this afternoon that his was the,
22 pretty much the universe of study -- of companies for which
23 there's data, but our sample for power distribution is
24 considerably larger than his. I'm not sure why, but we --
25 and may I say that when we expanded our sample a few years
26 back we found that the productivity trend of power
27 distributors was slower than we used to think, and we've
28 stuck with the results for the larger sample ever since

1 because there was no good reason to exclude them.

2 DR. HIGGIN: Just to confirm, your sample was based on
3 state-regulated gas utilities?

4 DR. LOWRY: The gas one was based on applications to
5 state commissions that usually use the FERC Form 2 as a
6 template. They are very, very similar from state to state.

7 DR. HIGGIN: Thank you. Thank you for those
8 responses.

9 Now, I asked Dr. Makhholm about the NERA study as it
10 related to the sample and cost of service versus IRM
11 regulation.

12 The premise that I have there is that under PBR IRM
13 utilities are expected to show productivity growth relative
14 to the economy. Therefore, the average productivity growth
15 rate for that -- for an industry sample that had a lot of
16 PBR-regulated would be different to a cost-of-service
17 sample. That was the premise.

18 So just to clarify, that factor was not taken into
19 account in the samples as to how many of the utilities were
20 on cost of service and how many were on PBR IRM.

21 DR. LOWRY: That's right, and most -- of course, most
22 of the utilities in the United States are not under an IRM
23 for power distribution. It is more common for vertically-
24 integrated utilities, but not for power distributors, and
25 part of the reason is that they look at what you've all had
26 to deal with here about, well, what is the future cost
27 trajectory of power distributors and gas distributors, and
28 people are asking for -- it just so happens that now they

1 need a whole bunch of extra money, and this has been --
2 given a lot of American regulators pause.

3 So most of them are cost of service, and to me that's
4 one of the arguments for a stretch factor, is that this --
5 the sample that you are using as your peers are mostly
6 companies operating under cost-of-service regulation. In
7 the case of gas, many of them also have these capital cost
8 trackers that are weakening their incentives to contain
9 their capital spending in recent years, and indeed you see
10 evidence of that in my data.

11 DR. HIGGIN: Okay, thank you very much.

12 Now, can you agree with me that -- if this is correct
13 or not? It seems to us that for the Ontario gas sector,
14 that leaving aside all of the differences in methodology,
15 the evidence seems to come forward suggesting that for
16 Union and EGD, after two, three generations of IRM, at
17 least for O&M, operating and maintenance, costs have
18 reached the point of matching economy-wide increases.

19 And that's where we are now after -- at this point,
20 with this going forward.

21 DR. LOWRY: So in Table 4A of my revised evidence, I
22 have evidence on the corrected productivity trends of
23 Enbridge and Union, and I think it is best to use the
24 number of customers as the output measure for that, and you
25 see that the -- since 2000 the productivity -- O&M
26 productivity growth of Union as 1.15 percent and that for
27 Enbridge is 0.88 percent, and those are both pretty similar
28 to the nationwide O&M productivity trend, the numbers for

1 Union being a little above it.

2 Now, when you see the Enbridge numbers, put a little
3 bit of an asterisk by that, because during that period they
4 had -- often had very brisk customer growth that would
5 provide unusual opportunities for economies of scale, so
6 that kind of means that maybe, you know, their trend was
7 even a little less than it could have been, but my results
8 also show that in the years prior to 2001, there was a --
9 they'd had very brisk O&M productivity growth as well, and
10 that's very consistent with the statistical benchmarking
11 study that I did for the company back around 2004, that
12 they'd gotten to the point of being a pretty good O&M cost
13 performer.

14 DR. HIGGIN: Thank you for that explanation. Now my
15 next topic is the output quantity index used for the TFP
16 analysis. Perhaps you could turn up page 21 of the
17 compendium.

18 I know this was covered in your in-chief, so I won't
19 -- I've reduced my questions on this. So this exhibit is a
20 response on that topic from you to EGD/Union. This is what
21 this exhibit is about, confirmed?

22 DR. LOWRY: Yes.

23 DR. HIGGIN: And I just want to talk about the last
24 piece of this page, the last three lines, and if you could
25 perhaps indicate to us what seems to be some conditional
26 acceptance, I'll use that word, that revenue per customer
27 cap plans, number of customers, that seems to be some
28 distinction that is being used for -- depending on the type

1 of regulatory scheme. Would you like to comment on that?

2 DR. LOWRY: Yes. The discussion here was about
3 whether or not you should customize productivity results
4 depending upon the application.

5 Now, in contrast to Dr. Makholm, I've long been an
6 advocate of a more customized approach, and I would use one
7 output index for a price cap perhaps, and another for a
8 revenue cap.

9 So I had commented on that in this proceeding and they
10 basically agreed -- and actually, Dr. Makholm also agreed
11 that basically for a revenue cap, particularly if it was a
12 revenue per customer type of cap, that the number of
13 customers was the proper output measure.

14 Now, the issue before the Board is, well, what about
15 if you have a separate normalized average consumption
16 adjustment. And my math that I showed in section 3 of my
17 testimony was to make the point that yes, the same applies
18 to this type of IRM that the company is proposing, that the
19 number of customers would be appropriate to use to measure
20 output.

21 DR. HIGGIN: Okay, thank you. That's exactly where I
22 was next going to go to get clarification on, and that is
23 if we could turn up to page 23 of the -- of the -- no,
24 I'm sorry, it should be page 22, and there is a section
25 highlighted there. This is from your report.

26 I just want to understand the connection here, and
27 what changes. So it says here, if -- if, a conditional if
28 -- the OEB approves the normalized average use adjustments

1 and LRAMs that the companies have proposed, then the number
2 of customers should be used. That's what the statement
3 says.

4 So I just want to clarify, condense that down and say
5 what are you recommending as an output quantity index if
6 there is not an a NAC and LRAM adjustments, and if there is
7 a NAC and LRAM adjustment.

8 DR. LOWRY: Well, the statement is that if there is
9 one, then you use the number of customers. If there isn't
10 one, then you are in the realm of trying to reckon with the
11 average use trend of the companies and factor that into the
12 productivity research, and that's kind of a messy business.

13 I've delivered ideas about how to do that in past OEB
14 IRM proceedings, the second one back that Enbridge and NERA
15 were part of. I said could you probably break it down into
16 two pieces where you just measure industry productivity
17 with the number of customers, and then have a separate
18 average-use adjustment. And I guess that's what I would
19 probably do -- but then isn't that what I'm advocating here
20 as well.

21 They have a separate average use adjustment and so...

22 DR. HIGGIN: Just to state that it's a request for
23 them to continue that in the new -- for Amalco.

24 DR. LOWRY: Yes.

25 DR. HIGGIN: And there has been, as you may have heard
26 from the cross-examination and settlement, concerns about
27 that from ratepayers.

28 DR. LOWRY: Mm hmm.

1 DR. HIGGIN: And therefore, that is a live issue, I
2 suggest, that needs still to be determined by the Board
3 based on the evidence and so on.

4 So that's all. I was just trying to give the two
5 options here as to how that would work.

6 So finally, I'm just going to come to the dreaded
7 stretch factor a little bit. I won't spend a lot of time
8 on it, but I need to try and understand from you what the
9 stretch factor that you are recommending is.

10 Could you please go to page 23 of your report, just to
11 give us a segue into this? And this is an extract where
12 you talk about stretch factors and so on.

13 So this is page 23 of the compendium, and it comes
14 from page 48 of your report, an extract.

15 Do you have that?

16 DR. LOWRY: Yes.

17 DR. HIGGIN: Thank you. So what I'm trying to
18 understand here is basically the basis of this stretch
19 factor.

20 There are a number of things that it could be based
21 on. One, it could be analysis, one could be regulatory
22 precedent, okay. So there could be other factors. I am
23 just trying to understand the pieces -- the things that
24 went into your recommendations of a 0.3 stretch factor.

25 I'm not going to go into the issue of whether there
26 should be one or should be not. I'm more interested in why
27 0.3 percent.

28 DR. LOWRY: Well, for one, to state what's almost

1 obvious is that my charge for the Board is to come up with
2 the most objective number, and I think that my reasoning
3 here was trying to balance all considerations.

4 I had done a study that showed that the productivity
5 trend of the gas utility industry was negative 0.23. So
6 that's one number that you can hang your hat on.

7 Another is that when you corrected Dr. Makhholm's
8 numbers, a number of positive 0.49 arose. A third is that
9 I, you know, prepare studies of power distribution
10 productivity trends on a fairly regular basis, and my most
11 recent and analogous number was in a study that I did for
12 Lawrence Berkeley National laboratory, which is affiliated
13 with the United States Department of Energy, and found a
14 0.23 percent TFP trend over a similar 2001 to 2014 period.

15 I also took note -- I think it's germane and something
16 I wasn't able to talk about in my examination in-chief that
17 I'm generally concerned about this IRM being -- the
18 proposed IRM being tilted unduly favourably to the utility.
19 They are very good about asking for compensation for the
20 problems that they face, and they are not as generous about
21 offering -- sharing with customers the benefits of any
22 opportunities that they face. In this particular case, the
23 merger is a conspicuous opportunity.

24 In the United States when two companies merge, a very
25 common rate-making treatment is to have a rate freeze for
26 four or five years, a rate freeze. Now, think of the
27 productivity that's implicit in that. That's equal to the
28 inflation -- input price inflation that the utility is

1 experiencing.

2 So considering all that, I felt that the number zero,
3 which is after all above my negative 2.3 -- negative .23
4 productivity trend estimate was a reasonable compromise.

5 DR. HIGGIN: You said zero. I assume you meant 0.3.

6 DR. LOWRY: No, I meant zero for the base productivity
7 trend.

8 Now, you would add then to that the 0.23 percent
9 stretch factor. Where does that come from? Well, as we
10 all know, that's sort of the normal stretch factor for a
11 utility under the price cap IR, and Enbridge and Union had
12 their opportunity to provide convincing evidence in this
13 proceeding that they were a good cost performer, and they
14 did not provide such evidence.

15 I mean, here, in fact, is what we know about their
16 cost performance. We've already talked about how their O&M
17 productivity has been pretty respectable since 2001. It's
18 been similar to or a little above that of the industry as a
19 whole. And that may be one of the reasons that they like
20 to talk about the fact that the low-hanging fruit is gone.
21 They are attributing it to IR. Actually, this is normal
22 productivity growth, potentially.

23 On the other hand, Enbridge in particular has had very
24 negative capital productivity growth for a long time. And
25 so when you look at -- for example, for the United States
26 as a whole, capital productivity is negative 0.98 percent,
27 but Enbridge's capital productivity has been negative 2.33
28 percent.

1 So that kind of eats up a lot of those benefits of the
2 O&M, and I think you are just left with the result that
3 there is no convincing case that the applicants are
4 superior cost performers. Again, they had their chance,
5 but having not provided such evidence, then the 0.3 is
6 applicable.

7 There is certainly no evidence that they are a bad
8 performer, but no evidence that they're good.

9 DR. HIGGIN: Okay, I think that helps me understand
10 better what that -- how you arrived at that.

11 So I would just like to talk a bit about --

12 MS. ANDERSON: Just a time check, because we are --

13 DR. HIGGIN: I know, I'm just -- my last question, and
14 then --

15 MS. ANDERSON: -- really tight. You've got five
16 minutes.

17 DR. HIGGIN: I know, yes.

18 So my last question here is related to the Z factors,
19 and if you could turn up page 26 of our compendium.

20 So just the last two bullets there you talk about
21 recommendations, other recommendations about the Z factors,
22 and so basically -- leaving aside, we see your
23 recommendation -- can you just summarize briefly for us on
24 the record your criteria for -- general criteria for
25 inclusions and exclusion in a Z factor and for establishing
26 a Z factor threshold when you are considering and saying
27 it's too low, et cetera, just what your criteria are,
28 please.

1 DR. LOWRY: Well, I mean, I think my criteria are the
2 same as the company would state. I mean, they are kind of
3 the normal set of considerations about it being external
4 and it being material and not somehow being picked up by
5 the productivity index. The benefits of the Z factor with
6 the materiality threshold -- the benefits of the
7 materiality threshold is that it reduces the likelihood of
8 frivolous requests, taking up the Board and the community's
9 time over minor cost concerns.

10 It strengthens their performance incentives, and it
11 also, particularly combined with a deadband like exists
12 with the IC materiality threshold, reduces double-counting,
13 because, you know, when Enbridge or Union come in and say
14 we've incurred costs due to a highway relocation project,
15 well, don't you think that those types of costs are
16 incurred by the utilities in the productivity sample? So
17 they are asking for a dollar-for-dollar recovery of a
18 shortfall, and at the same time the X factor is lower
19 because of those, so I, you know, said that in addition to
20 there being a higher materiality threshold than they
21 propose, there should be a deadband.

22 DR. HIGGIN: Okay, thank you, that's very helpful to
23 understand your thinking on that. Thank you, Madam Chair.
24 Those are my questions.

25 MS. ANDERSON: Thank you.

26 Mr. Shepherd, we haven't forgotten your other request.
27 We will get to that, but we are trying to get to the end of
28 Mr. Lowry -- Dr. Lowry today.

1 MR. SHEPHERD: Thanks.

2 MR. MILLAR: Madam Chair, perhaps I neglected to
3 inform you. I think Mr. Shepherd no longer has any
4 questions for Dr. Lowry.

5 MS. ANDERSON: Okay. Yes, I did not know that.

6 MR. SHEPHERD: I actually sold my time.

7 [Laughter]

8 MS. ANDERSON: Well, I guess -- yes. Mr. Cass. I'm
9 mindful you've got an hour. We also have to take some time
10 for the court reporter to take a bit of a break in here, so
11 we could take the break now and start or you could start
12 and we're kind of -- whichever you prefer.

13 MR. CASS: I think I'm indifferent, Madam Chair.

14 MS. ANDERSON: Maybe ten now. Okay. And then we'll
15 get to the end. Thanks.

16 --- Recess taken at 3:34 p.m.

17 --- On resuming at 3:46 p.m.

18 MS. ANDERSON: Mr. Cass?

19 MR. CASS: Thank you, Madam Chair. Madam Chair, I
20 have a compendium for this cross-examination. I hope that
21 everyone has that. It's actually a bound volume. It looks
22 a little different.

23 MR. MILLAR: We'll mark that as K4.4.

24 **EXHIBIT NO. K4.4: UNION/ENBRIDGE CROSS-EXAMINATION**
25 **COMPENDIUM FOR PANEL 5**

26 MR. CASS: I apologize for my inability on the front
27 page to spell distribution correctly.

28 Dr. Lowry, as I think you know, I am Fred Cass and I

1 represent the applicants in this proceeding. You, Dr.
2 Lowry, were a witness in the AUC generic proceeding we've
3 heard about a bit today, proceeding number 566; is that
4 correct?

5 DR. LOWRY: Yes, I was a witness in all three of the
6 generic PBR proceedings that have been held by the AUC.

7 MR. CASS: Thank you. So I'm just talking about
8 proceeding 566 for now. We'll talk a little bit about the
9 other ones.

10 In this generic proceeding that I'm talking about, the
11 AUC was considering implementation of a form of
12 performance-based regulation for both electricity and
13 natural gas distribution companies. Is that correct?

14 DR. LOWRY: That's correct.

15 MR. CASS: And correct me if I'm wrong, but I believe
16 that the decision that the AUC issued would have applied to
17 three electricity distribution companies and two gas
18 distribution companies. Does that sound right?

19 DR. LOWRY: Well, I think it eventually applied to
20 four power distributors, because one entered late in the
21 plan.

22 MR. CASS: Okay, thank you. In this context, the AUC
23 had indicated its expectations regarding inclusion of an I
24 minus X formula as part of the PBR plans, right?

25 DR. LOWRY: Yes.

26 MR. CASS: And accordingly, the AUC received evidence
27 on the elements and factors of an I minus X formula,
28 including X factor?

1 DR. LOWRY: Yes, they did.

2 MR. CASS: Would you agree with me that in this
3 context of a generic proceeding concerning so many
4 different companies, the AUC undertook a wide-ranging
5 review of these appropriate parameters of an I minus X
6 formula?

7 DR. LOWRY: I would say it was fairly wide-ranging.

8 There were a couple of topics that they kind of
9 squelched -- they didn't have much sympathy to like
10 statistical benchmarking. It's not like there was a lot of
11 evidence provided on that topic, for example.

12 MR. CASS: But generally in relation to the parameters
13 of the I minus X, it was a quite a broad review?

14 DR. LOWRY: Yes.

15 MR. CASS: And I believe it included a number of
16 experts with respect to TFP analysis. Is that right?

17 DR. LOWRY: Well, Dr. Makholm was an expert. I don't
18 know about -- there were a number of newcomers to the topic
19 that were brought in, or people with very limited
20 experience were brought in by some of the utilities. So it
21 was a mix.

22 Several of them were -- Dr. Makholm for sure was
23 knowledgeable and also Dr. Scheck (ph).

24 MR. CASS: So it would be my understanding that there
25 were -- in addition to you and Dr. Makholm, there would
26 have been five or more experts who were qualified by the
27 panel, the AUC, in this area.

28 MR. MILLAR: They qualified them. You asked me my

1 opinion.

2 MR. CASS: Sorry, I didn't intend to ask you your
3 opinion. I was just trying to get a sense of the context
4 of this proceeding.

5 So you would agree that in addition you and Dr.
6 Makhholm, the AUC qualified five or more other experts in
7 this area?

8 DR. LOWRY: I'll accept -- whether it's four or five,
9 I don't recall. But yes, there were about that many.

10 MR. CASS: And I would assume you've never been
11 involved in a regulated utility case involving these issues
12 with as large an array of experts on productivity as there
13 was in that case.

14 DR. LOWRY: Well, again it depends on whether your
15 definition of an expert is.

16 MR. CASS: My definition is accepted by the --

17 DR. LOWRY: Accepted by the commission? Yes, it was
18 unusual how many there were.

19 MR. CASS: Okay, thank you. Would you agree with me
20 that this was the most wide-ranging review of these matters
21 that has occurred in any recent case that you're aware of?

22 DR. LOWRY: No, I don't know any reason to say that.

23 MR. CASS: Can you give me an example of a recent case
24 that has had a greater range of consideration of these
25 issues, and a greater range of parties and experts
26 involved?

27 DR. LOWRY: Well, there are definitely were more
28 witnesses. But apart from that, you know, you're asking me

1 to say was there a wider review of the issues and I
2 wouldn't say -- not really, not that I'm aware of.

3 MR. CASS: Okay.

4 DR. LOWRY: I'm not prepared to agree with you on
5 that.

6 MR. CASS: But you agree that there was a wider range
7 of expert witnesses as accepted by the commission?

8 DR. LOWRY: Certainly.

9 MR. CASS: And just for the record, the excerpts from
10 the decision that resulted from this proceeding, those are
11 at tab 3 of the compendium. I assume you have the
12 compendium?

13 DR. LOWRY: Yes, I do.

14 MR. CASS: So you would be quite familiar with that
15 decision?

16 DR. LOWRY: Yes.

17 MR. CASS: Thank you. Now, just coming back to the
18 case before us, in this case, you said that the data for
19 your TFP growth study came from a company called SNL
20 financial, is that right?

21 DR. LOWRY: In this proceeding, yes.

22 MR. CASS: And you claimed that as confidential
23 information in this proceeding?

24 DR. LOWRY: Well, it's information that is gathered by
25 vendors, and they place considerable restrictions on the
26 use of the data. I don't want somebody -- another party to
27 the proceeding to get a copy and send it to his buddy in
28 Atlanta. And so you have to sign a confidentiality

1 agreement in order to have access -- to have access to SNL
2 data, which is, you know, very common in Ontario
3 proceedings, as you know.

4 MR. CASS: Well, I understood you to say in response
5 to a couple of questioners who preceded me that this data
6 is essentially coming from FERC Form 2. Is that not what
7 you said?

8 DR. LOWRY: Remember what I said was that it comes
9 from a template for FERC Form 2, and the problem is that it
10 goes to these state commissions and it's -- so you have to
11 go to individual state commissions and gather the data. It
12 is a big job.

13 It is, you know, if you want to get the data for FERC
14 Form 1, just go on their website and you can pull it down
15 -- you can get up and going in the space of a few weeks.
16 But for the gas thing, it's much more efficient to rent it
17 from an expert.

18 MR. CASS: So it's publicly available, but you say it
19 would be a big job to go and get it yourself?

20 DR. LOWRY: Yes, it is better to delegate that to one
21 person who then -- there's actually two companies that do
22 it. Another one is called Ventix that provides these data
23 to the public; it's more efficient.

24 MR. CASS: And the data relied on NERA's TFP worked
25 for the purposes of this case, it is all publicly
26 available, right?

27 DR. LOWRY: Yes.

28 MR. CASS: Now, in your confidential work papers, I

1 believe you -- I'm not getting into any confidential
2 information by the way -- you included a table that lays
3 out the changes in revisions that you needed to make that
4 underlying data due to things like missing values and
5 anomalies. Is that right?

6 MR. MILLAR: Yes, there are some.

7 MR. CASS: And NERA included a similar table in this
8 case, but it was public, right?

9 DR. LOWRY: Yes.

10 MR. CASS: All right. Now, in this proceeding, you've
11 reviewed referred to the fact that you had some errata that
12 you corrected, right?

13 DR. LOWRY: Yes.

14 MR. CASS: That affected not only your prefiled
15 evidence, but also some answers to interrogatories?

16 DR. LOWRY: Yes.

17 MR. CASS: And would it have been some of the
18 confidential answers to interrogatories that were affected?

19 DR. LOWRY: Well it did affect -- I don't think so.
20 Well, the -- what it was mostly about was at the very last
21 minute, I realized that we should have included pensions in
22 the study because -- again, to have a properly customized
23 study, the companies have agreed not to Y factor their
24 pensions. And I shouldn't have asked my staff to do that
25 at the very last minute, because you have to change several
26 things to do that correctly. So it turned out that it
27 needed to be fixed.

28 MR. CASS: And when you provided this, if I could call

1 it post errata information, you didn't actually provide all
2 of the pre-errata information that would have allowed NERA
3 to check the source and effect of your changes?

4 DR. LOWRY: I'm not sure what was provided to them.
5 I'm not sure.

6 MR. CASS: Okay. And another thing that you did for
7 the purposes of your work in this case is you used
8 something called SST software for your analysis. Is that
9 right?

10 DR. LOWRY: Yes.

11 MR. CASS: And you would be aware from previous
12 proceedings that other experts that work in this area don't
13 use that software?

14 DR. LOWRY: This has come up in the -- it came up in
15 the Alberta proceeding.

16 MR. CASS: Right.

17 DR. LOWRY: I mean, if I may say to the panel that,
18 you know, in that proceeding, in which there were a number
19 of highly paid consultants, they kind of took it to the
20 next level with complaints about matters of transparency,
21 as if somehow they couldn't possibly cope with a -- a --
22 having the research done in code, for example, or they
23 couldn't -- they didn't like the fact that they had to sign
24 a confidentiality agreement. In my opinion, these are
25 mostly just tactics, but it did work -- it did help their
26 case in that one proceeding, because in that one proceeding
27 the AUC was more skeptical of our work because of these
28 complaints.

1 MR. CASS: Well, I'm going to actually take you to
2 more than one proceeding. First if I could take you to
3 tab 6 of the compendium, if you don't mind, please, Dr.
4 Lowry.

5 DR. LOWRY: Okay.

6 MR. CASS: I'm looking as -- first of all, just to set
7 the context, this was an AUC proceeding to establish the
8 parameters of PBR plans for the 2018 to 2022 period,
9 correct?

10 DR. LOWRY: Sorry, I'm still looking.

11 MR. CASS: Oh, I'm sorry, tab 6.

12 DR. LOWRY: Tab 6.

13 MR. CASS: And I'm looking at paragraph 96. It is
14 decision 20414 of the AUC.

15 DR. LOWRY: Okay, I'm sorry, I've got tab 6, but which
16 page?

17 MR. CASS: I'm looking at paragraph 96.

18 DR. LOWRY: Oh, paragraph 96. Okay.

19 MR. CASS: But first just to set the context, I'm just
20 asking you to confirm, this was the AUC's proceeding to
21 establish parameters of PBR plans for the 2018 to 2022
22 period, correct?

23 DR. LOWRY: Yes.

24 MR. CASS: And so just -- I'm going to come back to
25 the opening words of paragraph 96, but as you've indicated,
26 there is a reference there to distribution utilities
27 submitting that caution should be exercised when relying on
28 the results of the Lowry study. I'll come back to that,

1 but then skipping down to the next sentence:

2 "Specifically, while the Lowry study in this
3 proceeding relied on publicly available data in
4 that proceeding, the distribution utilities
5 stated that these TFP results were obtained using
6 a software package that is not widely used,
7 rather than spreadsheets, and that the underlying
8 calculations and assumptions were not documented
9 or clearly explained."

10 So that was the concern that was expressed there?

11 DR. LOWRY: Well, they say they -- not explained to
12 their satisfaction. There was certainly extensive
13 explanation provided.

14 MR. CASS: And then at the beginning of paragraph 97
15 with respect to this software, you indicated that PEG uses
16 this for all its projects and it is available for purchase?
17 That was your response?

18 DR. LOWRY: Yes.

19 MR. CASS: All right. And then in the middle of
20 paragraph 98, the AUC's preference was, and I'll just
21 quote:

22 "In the future the commission would prefer such
23 analysis to also be reproduced using spreadsheets
24 when as in the situation it is possible to do
25 so."

26 Right?

27 DR. LOWRY: Yes.

28 MR. CASS: And in this particular case NERA asked you

1 to reproduce the information on spreadsheets, or at least
2 the applicants did in an interrogatory, and you were able
3 to do so, right?

4 DR. LOWRY: Yes, we complied with that request.

5 MR. CASS: Right, so now, just to pick up on the --
6 back on the first sentence of paragraph 96, this is
7 referring back to the other decision that we talked about.
8 It refers to the AUC addressing objectivity, consistency,
9 and transparency in decision 2012-237. That is the
10 decision from the first generic case, right?

11 DR. LOWRY: I'm sorry, what paragraph are we on now?

12 MR. CASS: I'm back at paragraph 96, just above --

13 DR. LOWRY: Okay. Yes.

14 MR. CASS: -- where we were a moment ago.

15 DR. LOWRY: Mm-hmm.

16 MR. CASS: Okay. And this is taking us back to the
17 decision from the first generic proceeding, which is
18 decision 2012-237, right?

19 DR. LOWRY: Yes.

20 MR. CASS: And that's at tab 3 of the compendium.

21 If I could ask you to turn to paragraph 347 of that
22 decision. So in the first sentence of paragraph 347 the
23 AUC says:

24 "All parties confirmed the importance of relying
25 on publicly available data and transparent
26 methodologies for the purpose of the TFP studies
27 used in regulatory proceedings in order to make
28 such studies objective and neutral."

1 Now, since all parties confirmed that, I assume that
2 the party you were giving evidence for agreed with that?

3 DR. LOWRY: I have no recollection of that.

4 MR. CASS: Are you saying that the AUC just got this
5 wrong or you simply don't remember?

6 DR. LOWRY: I have no recollection. I don't know
7 whether it's right or wrong.

8 MR. CASS: Okay, thank you. And again, on the next
9 sentence of paragraph 347:

10 "In this respect, while no party questioned the
11 transparency of NERA's methodology and the
12 availability of FERC Form 1 data, parties to this
13 proceeding took issue with PEG's productivity
14 study over issues of objectivity and
15 transparency."

16 You do remember that, I think, because you've referred
17 to that.

18 DR. LOWRY: Well, I would like to make a comment to
19 the Board about what they mean by "objectivity." As we
20 discussed here, I am want to -- more to customize studies
21 to the particular proceeding. And in two proceedings, IRM
22 proceedings for gas, for example, I was -- I worked for the
23 Board, and I said that an X factor for Enbridge should take
24 consideration into the fact that they experience rapid
25 customer growth.

26 And the -- so in Alberta, the utility's also
27 experiencing very rapid customer growth, and I, like Dr.
28 Makholm before me, had proposed a more custom peer group,

1 productivity peer group, for Alberta utilities. Dr.
2 Makholm participated in a prior proceeding in which he had
3 used a western peer group, and so I did present results
4 with a western peer group, and I also presented results
5 just for a group of United States utilities with customer
6 growth that was similar to that in Alberta.

7 Now, that, in the view of some witnesses, was
8 considered to be not objective approach. In other words,
9 any attempt to try to customize results to the business
10 conditions was considered to be not objective.

11 MR. CASS: So just for clarity then, to the extent --
12 understood that I'm not asking you whether you agree with
13 it, but these comments that were raised, they were about
14 objectivity and transparency. They were in the context of
15 your work to customize, to get the results of your study.

16 DR. LOWRY: The transparency was also about the matter
17 of the SNL data of proprietary data, so that was a little
18 different. That also had to do with the code, but I was
19 just trying to explain to the Board what was meant by
20 "objectivity" in this case.

21 MR. CASS: Thank you. That's a good clarification.

22 Now, you said that the -- that parties expressed this
23 concern, but I believe the commission shared the concern in
24 its decision, and perhaps I can take you to a couple of
25 points on that.

26 But first, just to confirm, over at paragraph 352, to
27 allay -- this indicates that to allay these concerns about
28 using proprietary data you recalculated your TFP growth of

1 the sample in that case using data entirely in the public
2 domain, right?

3 DR. LOWRY: At the end of the proceeding I did, yes.

4 MR. CASS: You were able to do that.

5 So, now, just to -- I want to give you a chance to see
6 the comments by the commission that I just referred to.
7 They're in two different places. One is paragraph 354 and
8 the other, I think, is 364. So I'll look at them both and
9 then put a question to you.

10 So at paragraph 354, the AUC said:

11 "With respect to PEG's study, the commission
12 shares the gas companies' concerns that the TFP
13 analysis of Dr. Lowry and his colleagues was not
14 fully transparent and conducive to the detailed
15 scrutiny by other experts or by the commission."

16 And similarly at paragraph 364 -- sorry if I'm going
17 too quickly. In paragraph 364:

18 "In light of the above considerations, the
19 commission agrees with NERA, ATCO Gas, and
20 AltaGas that the lack of publicly available data
21 and transparent methodology represent major
22 drawbacks to the use of PEG's productivity
23 analysis."

24 So it was not just parties that were expressing this
25 concern, the commission agreed with it, right, Dr. Lowry?

26 DR. LOWRY: The commission in that particular case
27 displayed in -- what I would consider to be an undue
28 preoccupation with matters of transparency and objectivity.

1 In the very next proceeding, they did things differently
2 and somehow my study was considered along with others in
3 the setting of the X factor. But in this particular
4 proceeding, they bought into the arguments of these various
5 utility witnesses.

6 MR. CASS: So do you say they just got it wrong in
7 this decision?

8 DR. LOWRY: I think did. Of course I do think that.

9 MR. CASS: Let me take you back to one other part of
10 the decision on this, paragraph 356, if you don't mind.

11 I'm looking at a little more than halfway through the
12 paragraph, and there is a sentence starting "in addition",
13 and the words I'm interested in are those stating:

14 "If Dr. Lowry and his colleagues at PEG are the
15 only persons who are able to repeat the TFP
16 analysis, the success of any future PBR plans
17 will depend on PEG's participation."

18 Do you agree with what the commission said there?

19 DR. LOWRY: Yes. To me, this is an example of an
20 absolutely ridiculous statement, that for some reason we
21 wouldn't want to use that one witness because you might
22 have to use that witness the next time, as opposed to
23 whether one witness was better than another and had shown
24 himself to have a superior study.

25 I think this is a bizarre statement.

26 MR. CASS: Okay. So you think what the AUC said here
27 was ridiculous?

28 DR. LOWRY: Well, I will say one thing that I should

1 explain to the Board, and that is back at that time, I was
2 using a proprietary -- some proprietary older capital cost
3 data. When you are estimating the productivity trend, a
4 total factor productivity trend of a utility, you would
5 like to have your capital cost data go as far back as
6 possible. And the more -- the further back you go, the
7 more accurate it is.

8 And so I had some data that I had gathered some years
9 back from members of the American Gas Association, upon the
10 promise that they would be kept confidential.

11 Now, you would think that this was a treasure trove of
12 data that would make the study more valuable, and that
13 would show that I was a particular expert on this issue.

14 Instead, the AUC took the view that, wow, we'd be
15 stuck having to have him come back because he has this good
16 data.

17 MR. CASS: And that's what you are characterizing as
18 ridiculous?

19 DR. LOWRY: Yes.

20 MR. CASS: okay, thank you. So to move to another
21 subject but the same decision, could I ask you to turn to
22 paragraph 469, please?

23 DR. LOWRY: Okay.

24 MR. CASS: As you can see from the top of the page --
25 sorry, I'm going too quick again. Paragraph 469.

26 I'm looking in the paragraph, just after the word
27 "nevertheless" in the second line.

28 The AUC says:

1 "Most parties to this proceeding agreed that the
2 rationale behind the stretch factor is to share
3 with customers the benefits of the expected
4 acceleration in productivity growth as the
5 company transitions from a cost of service rate-
6 making system to performance-based regulation."

7 Now, did the AUC get this wrong, or was the AUC
8 correct in indicating that most parties to the proceeding
9 agreed with that rationale?

10 DR. LOWRY: Well, this is more an area of legitimate
11 differences of opinion. I don't agree with the AUC's
12 decision on this. They were the ones that took this rather
13 extreme attitude that the benefits of -- that the stretch
14 factor was just to share the benefits of the initial
15 productivity acceleration. I don't consider that to be
16 ridiculous. I don't agree with it.

17 But yes, this is -- they are one commission that has
18 done things differently from the Ontario Energy Board, and
19 the British Columbia commission and other commissions, and
20 taken this rather narrow view of what stretch factor is all
21 about.

22 MR. CASS: Okay. Well, perhaps we could look a little
23 more at the decision then. Could I ask you to turn -- or
24 to look at paragraphs 479 and 480? I'm sorry, I'm going to
25 need to read both of them to have the full context, but
26 they aren't lengthy. Paragraph 479:

27 "The commission agrees with the rationale for a
28 stretch factor put forward by EPCOR, NERA,

1 Altagas, the UCA and Calgary. The purpose of a
2 stretch factor is to share between the companies
3 and customers the immediate expected increase in
4 productivity growth as companies transition from
5 cost-of-service regulation to a PBR regime."

6 And the next paragraph, "The Atco companies and the
7 CCA" -- and if I could just stop there, you were a witness
8 for the CCA in this proceeding?

9 DR. LOWRY: Yes.

10 MR. CASS: "The Atco companies and the CCA agreed that
11 this reasoning forms part of the consideration
12 when adding a stretch factor. As such, the
13 commission observes that is this definition of
14 stretch factor has been accepted by all parties
15 to this proceeding, except Fortis."

16 Now, did the AUC get that wrong?

17 DR. LOWRY: Well, as you can see, they put discussion
18 of CCA in a separate paragraph and said that it formed part
19 of the reason. And so, of course we concede that this is
20 one of the reasons for a stretch factor, and so they're
21 noting that we didn't deny that it was one of the reasons.
22 I think that's the spirit in which they meant that.

23 I don't have a problem with the way that is written.
24 But I also note that that they showed -- they make here the
25 statement that "the purpose of the stretch factor is to
26 share between the companies the immediate expected
27 increase."

28 And I believe that in Dr. Makholm's testimony, he

1 asked himself the question: Well, what's a stretch factor
2 all about? And rather than saying what he thought, he
3 quoted the Alberta commission and now we find out today
4 that he actually believes that, hey, you know, it could
5 take two or three generations of PBR before there is no
6 need for a stretch factor any more. He just knows for sure
7 that in a fourth generation, there isn't one needed.

8 But I just note here, since it's right handy for the
9 commission -- the Board to see that he was quoting this as
10 the explanation rather than providing his own view in his
11 direct evidence.

12 MR. CASS: All right. Well, I'm not going to argue
13 with you on that one. So you suggesting that you just
14 found out today what Dr. Makhholm's view is on the purpose
15 of a stretch factor?

16 DR. LOWRY: Well, I was surprised. I thought I did
17 understand it, and he characterized me as misrepresenting
18 it. So after that, I was curious to go back and read and
19 then I was reminded about it, and I thought about it at the
20 time, that when it comes up in his evidence, he quotes the
21 commission rather than stating his own view and that, in
22 turn, has given him license now to kind of say, well, I
23 don't exactly agree with the AUC on this. I think that it
24 could take two or three generations of PBR to ring out all
25 of the initial inefficiencies on it. This is new to me.

26 MR. CASS: Well, you are clearly hearing different
27 things than me, Dr. Lowry, but we will just move on.

28 For clarity, you said more than once in your evidence

1 that Dr. Makhholm had said that the stretch factor applies
2 only in the first PBR plan, didn't you?

3 DR. LOWRY: I did say that, and maybe I was incorrect
4 slightly in the sense that he was quoting the Alberta
5 commission as saying that, without actually stating his own
6 view.

7 MR. CASS: Have you got any evidence reference at all
8 where Dr. Makhholm said that the stretch factor applies only
9 in the first PBR plan?

10 DR. LOWRY: Well, now I'd have to go back and look.
11 I'm not sure.

12 MR. CASS: If I could take you to tab 1 of the
13 compendium, please, Dr. Lowry. So you would recognize this
14 as one of the interrogatories that the applicants asked you
15 in this proceeding?

16 DR. LOWRY: Yes.

17 MR. CASS: And in the references, part (c) to the
18 interrogatory, there was a quote from the evidence in the
19 AUC proceeding. Are you with me so far, part (c)?

20 DR. LOWRY: Yes.

21 MR. CASS: And you were asked by commission counsel --
22 you were given the opportunity to state the rationale for
23 including a stretch factor in a PBR plan, right?

24 DR. LOWRY: Yes.

25 MR. CASS: And your answer is what is recorded here:

26 "The rationale is to share some of the expected
27 acceleration in productivity growth as you go
28 from a cost-of-service rate-making system to a

1 performance-based rate-making system."

2 That was your answer?

3 DR. LOWRY: That was my answer, yes. And I would like
4 to say that I probably meant that in the broader sense that
5 Dr. Makholm has now revealed, that it could take several
6 generations of PBR in order to wring out all of the initial
7 efficiencies, but that said, this is just one comment I
8 made in cross, and in the course of the proceeding I
9 obviously said other things, because I was never counted as
10 an advocate of the view that it was to share the immediate
11 benefits. I was never counted as the one who said that was
12 the only reason for a stretch factor.

13 MR. CASS: But you were asked.

14 DR. LOWRY: There were a lot of things about this, but
15 in this comment I agree does kind of convey the impression
16 of more of Dr. Makholm's view.

17 MR. CASS: Well, in fairness to you, there is more to
18 it. It is in part (d), and I am going to come to that.

19 DR. LOWRY: All right.

20 MR. CASS: And I'm not suggesting it changes the
21 rationale, but it addresses more the duration --

22 DR. LOWRY: Yes.

23 MR. CASS: -- which is what you were talking about.

24 DR. LOWRY: Mm-hmm.

25 MR. CASS: So in part (d) there is an additional
26 question from commission counsel there about how long this
27 would be reflected in the PBR plan, and your response was:

28 "In my opinion, it should continue until a

1 credible levels benchmarking study has shown that
2 the utility is a superior performer, and that's a
3 fairly tall order. I don't know that any such
4 study has ever been performed for any Alberta
5 utility."

6 So that was your answer?

7 DR. LOWRY: Yes, I mean, it would be the same thing as
8 this proceeding. The company has not provide a credible
9 benchmarking study since I last provided one for Enbridge,
10 and that was only in an OM&A study, so until a credible
11 study shows that you are quite efficient, then you should
12 still have a stretch factor, in my opinion.

13 MR. CASS: Okay. So --

14 DR. LOWRY: And I might add to this that although the
15 Alberta Utility Commission has not been sympathetic to the
16 idea of statistical benchmarking studies, and incidentally,
17 their view of statistical benchmarking studies is that they
18 are insufficiently objective to be used, but the Alberta
19 government has a different view of this matter and recently
20 retained me to prepare a statistical benchmarking study of
21 Alberta power distributors that was jointly funded by the
22 Utilities Consumer Advocate and the Energy Ministry of the
23 province.

24 MR. CASS: Okay, so just to come back to what you were
25 talking about in this evidence that we are looking at at
26 tab 1 of the compendium, Dr. Lowry --

27 DR. LOWRY: Mm-hmm.

28 MR. CASS: -- so first you indicated that you had done

1 a benchmarking study for Enbridge but it did not include
2 capital, so the benchmarking study that you are talking
3 about here in the AUC proceeding would be one that includes
4 capital, right?

5 DR. LOWRY: It would, yes, just like the Ontario
6 Energy Board routinely does total cost benchmarking.

7 Now, it could be also disaggregated, taking a separate
8 look at capital and OM&A expenses, and even go to more
9 detailed levels. I mean, here in Ontario the commission
10 has retained us to develop a so-called activities and
11 program benchmarking capability where the focus will be
12 even more granular.

13 And incidentally, the reason for that is that they
14 feel that the total factor productivity or that the total
15 cost benchmarking studies that are currently done by the
16 Board provide an inadequate basis for disallowances in rate
17 applications.

18 And this is one of the reasons that I disagree with
19 Dr. Makhholm for saying that the reason they do benchmarking
20 here is to facilitate the regulatory process. In reality
21 these benchmarking studies are not used in rate
22 applications, because they are at too high a level of
23 aggregation.

24 MR. CASS: Okay, so Dr. Lowry, back to the evidence at
25 the AUC. So the benchmarking study you were talking about
26 here would be one that would include capital, right?

27 DR. LOWRY: Yes.

28 MR. CASS: And you referred to it as a levels

1 benchmarking study?

2 DR. LOWRY: Yes.

3 MR. CASS: So it would not be a study of TFP trends or
4 growth; it would be a study of TFP level?

5 DR. LOWRY: It is the same kind of study that the
6 British Columbia commission recently ordered Fortis
7 companies to provide the next time they come in for PBR.

8 MR. CASS: Right. And this is the type of study you
9 called a "tall order" in your testimony here?

10 DR. LOWRY: I didn't mean in saying a "tall order"
11 that it can't be done. It is actually a very
12 straightforward thing. In fact, I've already done it for
13 all four Alberta power distributors. Two of them are quite
14 good performers. So I didn't mean in saying "tall order"
15 -- just what I think I meant to say there is that they are
16 far, far away from having the evidence to protest a stretch
17 factor, and that unless they provide such a study they
18 would still have to be subject to stretch factors.

19 MR. CASS: Okay, can I take you to tab 5 of the
20 compendium, please, Dr. Lowry. This is the AUC's decision
21 in the proceeding to consider a mechanism to fund capital-
22 related costs outside of the I minus X mechanism that was
23 addressed in that previous 2002-237 decision, correct?

24 DR. LOWRY: Mm-hmm.

25 MR. CASS: Could I ask you to look at paragraph 137 of
26 that decision.

27 DR. LOWRY: Mm-hmm.

28 MR. CASS: So this paragraph is referring to some of

1 your evidence, I believe. It's the AUC referring to your
2 evidence during the hearing.

3 And there's a quote in paragraph 237 -- 137, I'm
4 sorry. If I could skip to the end of the third line, you
5 indicate to the AUC that this whole area of capital
6 benchmarking which was mentioned by Dr. Wiseman is very
7 much in its infancy and you don't think it's going to
8 happen anytime soon, right?

9 DR. LOWRY: Sorry, what -- I'm missing the paragraph.

10 MR. CASS: Oh, I'm sorry, paragraph 137, and this is
11 tab 5.

12 DR. LOWRY: Yeah. I'm not having that.

13 MR. CASS: It is on the screen as well, I think --

14 DR. LOWRY: Okay.

15 MR. CASS: -- in front of you if that helps at all --

16 DR. LOWRY: Why don't I just look at that.

17 MR. CASS: So I'm looking at the quote in paragraph
18 137, starting at the right-hand side of the third line.

19 DR. LOWRY: Mm-hmm.

20 MR. CASS: And you indicated that this whole area of
21 capital benchmarking was very much in its infancy and you
22 didn't think it was going to happen anytime soon.

23 DR. LOWRY: Mm-hmm. Well, to focus, the question here
24 is for purposes of deciding things like rate-making
25 treatment of capital, if you just had a focus study on
26 capital cost, how sophisticated could they be. And it is
27 true that for capital costs is the hardest thing to
28 benchmark, and one of the problems with doing it in Alberta

1 is that the available data don't go back many years.

2 As I was saying before, you know, with capital cost
3 you'd like to go back as many years as you can, and the
4 data from Alberta only go back to, like, 19 -- 2004 or
5 thereabouts, so it is particularly hard to do accurate
6 capital cost benchmarking. It's an area that we'll be
7 working on with the OEB in this activity and program
8 benchmarking project. Incidentally in the study that I
9 just did for the Alberta government, it did include capital
10 cost benchmarking, but with the caveats that, hey, this is,
11 you know, this is -- this is an experimental study.

12 MR. CASS: Thank you. And just, again, to get a
13 little more of the flavour of this, if we could look on in
14 the quote, you do elaborate some more. You say:

15 "You can get capital productivity trends. That's
16 easy. But capital levels benchmarking would be
17 harder."

18 So it's the levels benchmarking we're talking about
19 here that's difficult, right?

20 DR. LOWRY: Well, they are both kind of hard in the
21 context of Alberta because the data don't go back as far,
22 but, yes, the capital levels benchmarking is harder because
23 you would want to have data on the age of assets that is
24 not currently available.

25 Now, we tried to do this in Ontario. We will probably
26 have to go to the utilities and ask for a whole bunch of
27 data on system age, but that data was not available in
28 Alberta. So --

1 MR. CASS: Right.

2 DR. LOWRY: -- that's what makes it so hard.

3 MR. CASS: Right. And to link this back, the type of
4 benchmarking study that you said would be the test as to
5 whether a stretch factor continues to be appropriate was
6 levels benchmarking, right?

7 DR. LOWRY: Levels benchmarking. It is easier to do
8 here than it is in Alberta, because the data go back a
9 larger number of years.

10 MR. CASS: But nobody has done it in Ontario for
11 natural gas distributors, right?

12 DR. LOWRY: A benchmark -- well, it isn't any harder
13 to do than a study of -- for power distribution. I mean,
14 the work I'm referring to that I'm doing with the OEB on
15 the APB project is power distribution. But I'm not -- it
16 isn't -- it isn't that much harder to do or it isn't really
17 any harder to do for gas than it is for electric. It's
18 just -- still got a ways to go to be really to the point
19 we'd like it to be.

20 MR. CASS: Right. And we're talking levels
21 benchmarking, and it is going to include capital, and it
22 hasn't been done for gas companies in Ontario?

23 DR. LOWRY: No, but it's done for electric companies
24 all the time and they have -- you know, for many of the
25 companies, there is less data available than are available
26 for Enbridge and Union. I mean, Hydro One's data only goes
27 back to the year 2002 or thereabouts, for example. So it's
28 are just as feasible for Enbridge and Union as it is for

1 the power distributors, if not more so, because Enbridge's
2 data goes back quite a bit further.

3 MR. CASS: But have you actually tried it for a gas
4 utility in Ontario?

5 DR. LOWRY: Well, we haven't had the occasion to yet.

6 I mean, what you could have done in this study is to
7 submit a study and then to have us review it. You know, if
8 you wanted to have a zero stretch factor, that would have
9 been the best course of action.

10 MR. CASS: Well, is there a decision from a North
11 American regulator...

12 DR. LOWRY: May I just interrupt you to say that this
13 is exactly what Terrison Gas -- the former Terrison Gas.
14 Now it's called Fortis in B.C.; it used to be B.C. gas.

15 I mean, they're doing a study this year, a total cost
16 benchmarking study at the commission's -- at the B.C.
17 commission's direction. They are doing it right now.

18 MR. CASS: A levels --

19 MR. MILLAR: Yes, yes.

20 MR. CASS: But it hasn't been completed yet?

21 DR. LOWRY: Not yet.

22 MR. CASS: So we started off on this by reference to
23 tab 1 of the compendium, and the indication there in your
24 evidence that your view was that a credible levels
25 benchmarking study is what would determine whether a
26 stretch factor is appropriate -- not the level of a stretch
27 factor, but whether it's appropriate to continue, right?

28 DR. LOWRY: Yes, and I might interject that -- I'm on

1 the record in this proceeding as saying that superior
2 performers potentially could have a negative stretch
3 factor.

4 MR. CASS: Fair enough. Now, there is no decision
5 from any North American regulator for a gas utility that
6 says not to set a stretch factor, but just to even
7 determine whether it's appropriate to continue at the point
8 they are in PBR or IR to have a stretch factor that you
9 should have a credible levels benchmarking study, is there?

10 DR. LOWRY: Well, that's what's done by the OEB. Many
11 other jurisdictions use statistical benchmarking studies in
12 deciding the stretch factor.

13 We've prepared these studies on several occasions,
14 total cost benchmarking studies for Massachusetts gas
15 distributors in the past. I mean, we were doing that 15
16 and 20 years ago, and they were part of the submission that
17 had a bearing on the stretch factor issue.

18 MR. CASS: I don't think that's what I asked you, Dr.
19 Lowry, but maybe we'll just move on and leave it for
20 argument.

21 DR. LOWRY: Well, I gave it a shot.

22 MR. CASS: Now, in the AUC proceeding, you indicated
23 that an efficiency carryover mechanism is a deterrent to
24 the -- the word that I think was used, perhaps not
25 specifically by you, but to gaming that might be associated
26 with the timing of capital investments under an IR plan.
27 Do you recall that?

28 DR. LOWRY: Yes, I do.

1 MR. CASS: But as we've already discussed, when you
2 were asked in that proceeding as to the rationale for a
3 stretch factor, you didn't give discouraging strategic cost
4 deferrals as part of the rationale for a stretch factor,
5 did you?

6 DR. LOWRY: Well, that's an interesting question that
7 has arisen today. Dr. Makhholm said, oh, stretch factor is
8 all about sharing the initial productivity gains from
9 moving from PBR.

10 Well, my first thought was, well, what does that mean?
11 Suppose you took the combination of a stretch factor and
12 the benchmarking studies that are done here in Ontario and
13 called it something different. Suppose you called it an
14 efficiency carryover mechanism. Are you still opposed to
15 it?

16 Because, you know, there's been a segue in the role of
17 the stretch factor to having this extra benefit of
18 strengthening performance incentives and discouraging
19 opportunistic deferrals of cost. That's been a real
20 problem in Ontario, the strategic deferrals of cost under
21 the price cap IR framework, and there have been many
22 examples, for example, where the utilities would try to
23 load their capex into the rate year, so that they would
24 have a higher jumping-off point for their revenue in the
25 course of the IR plan.

26 So I think that, you know, there is a role for it.

27 MR. CASS: Okay. But my question was when you were
28 asked -- you were asked a question to give the rationale in

1 Alberta, and you didn't say anything about the stretch
2 factor discouraging strategic costs.

3 DR. LOWRY: Well, that commentary, however, presaged
4 my increasing appreciation of what they do in Ontario,
5 because over the course of time I realize, you know, that
6 the stretch factor system that they have in Ontario is kind
7 of the coolest efficiency carryover mechanism that's out
8 there.

9 It could be better. It could be that there could be
10 more money riding on it, they could use it to disallow
11 costs in the rate applications as well as just a modest
12 adjustment to the X factor. But it actually does function
13 as -- plays the function of an efficiency carryover
14 mechanism, and so what difference does it make what it's
15 called. I think it's perfectly sensible to call it a
16 stretch factor, because it's basically an adjustment to X
17 based on conditional and cost performance.

18 MR. CASS: Okay. Can we go back to tab 3 of the
19 compendium, please, Dr. Lowry?

20 DR. LOWRY: Sure.

21 MR. CASS: And specifically paragraph 494.

22 DR. LOWRY: Okay.

23 MR. CASS: Again I will just read this to you:

24 "Similar to the discussion about the size of the
25 X factor, parties commented on whether the
26 presence and the magnitude of a stretch factor
27 have any effect on the incentives of PBR plans.
28 EPCOR, AltaGas and the ATCO companies submitted

1 that the strength of the incentives under a PBR
2 plan is not tied to the magnitude of the X factor
3 (including the stretch). NERA and the CCA
4 supported this view."

5 DR. LOWRY: Mm-hmm.

6 MR. CASS: Again, the CCA was the party that you were
7 giving evidence for?

8 DR. LOWRY: Yes, and in that context, I stand by the
9 statement because there were no statistical benchmarking
10 studies. They had no such capability, the Board was an
11 opposed to them, and if you are just trying to say, well,
12 what should the stretch factor be, I agree that whether
13 it's .2 or .4 in that context, it is not going to
14 strengthen the company's performance incentives.

15 It has to be tied to a statistical benchmarking study
16 for that to happen.

17 So what I did is I did some research that tried to
18 compare the incentive power of the utilities in the
19 productivity sample to the incentive power of the PBR plan,
20 and then basically split the difference -- proposed to
21 split the difference in terms of the stretch factor. In
22 other words, the stretch factor would share the benefit of
23 the acceleration comparing the two. And I believe that
24 that was the basis for the -- that my testimony pointing to
25 the 0.20 stretch factor was very influential with the AUC
26 in choosing a similar number.

27 MR. CASS: Your recommendation of a 0.3 percent
28 stretch factor in this case is not supported by statistical

1 benchmarking, right?

2 DR. LOWRY: No, its not supported by statistical
3 benchmarking, but it would play a similar -- I mean, in
4 this province, they do it a little differently. If you are
5 an average performer, you get 0.3. So that's rather than
6 try for that complicated additional piece of analysis, that
7 I'm sure in Alberta would be considered horribly not
8 objective by some of the witnesses, you know, I just
9 elected to go with the normal productivity effect --
10 stretch factor that they use here, which is very similar to
11 the one I've proposed in the past.

12 MR. CASS: Can I ask you to turn to paragraph 500 of
13 the same decision?

14 DR. LOWRY: Mm-hmm.

15 MR. CASS: I will just take it a sentence at a time.

16 "Finally, the commission agrees with the parties
17 who argue that while the size of a stretch factor
18 affects a company's earnings it has no influence
19 on the incentives for the company to reduce
20 costs."

21 When a commission refers to the parties who argue
22 that, would that include the party you were a witness for
23 that argued it affects the size of earnings but has no
24 influence on the incentives to reduce costs?

25 DR. LOWRY: In the context where there is no
26 statistical benchmarking.

27 MR. CASS: Okay, well, I don't see that in the AUC's
28 words, but we can leave that.

1 Taking the next sentence in:

2 "Similar to a discussion in section 6.1 of this
3 decision, the commission considers that PBR plans
4 derive their incentives from a decoupling of a
5 company's revenues from its costs as well as the
6 length of time between rate cases and not from
7 the magnitude of the X-factor (to which the
8 stretch factor contributes)."

9 Do you agree that the incentive comes from the
10 decoupling of the revenues and the length of time between
11 rate cases?

12 DR. LOWRY: Not if there is benchmarking linked to the
13 stretch factor. Then there is a incentive tied to --
14 clearly, an incentive tied to doing a good job. I mean,
15 basically, what the stretch factor system does in Ontario
16 is going to be to reward a utility that comes in at the end
17 of five years and is offering customers good value in the
18 next rate application. They want to reward them for that
19 with a lower stretch factor.

20 Clearly that will incentivize them somewhat to do a
21 better job with their cost performance and not ask for an
22 especially large cost increase in the year of the -- in the
23 forward test year of the rate application.

24 MR. CASS: Okay. Sorry, Dr. Lowry, I just want to be
25 sure I understood that answer, because I took you to say no
26 at the beginning. All I had asked you was whether you
27 agree that PBR plans derive incentives from the decoupling
28 of revenue from costs and the length of time between rate

1 cases.

2 That's all I'd asked you, and you said no to that?

3 DR. LOWRY: No, they do definitely -- remember, I'm
4 the guy who has done complicated incentive power studies,
5 and so of course I agree that the longer the plan term and
6 the -- and what was the other one --

7 MR. CASS: Decoupling.

8 DR. LOWRY: And the decoupling, using something like
9 indexing, strengthened performance incentives, but my
10 research has also shown a very powerful additional
11 incentive from what I call in the research an assistant
12 efficiency carryover mechanism, and the kind of linkage of
13 stretch factor to benchmarking that they have in Ontario is
14 probably one of the better examples of an efficiency
15 carryover mechanism in the world, and it is one of the
16 reasons that the Ontario Energy Board is a world-class
17 practitioner of PBR.

18 MR. CASS: Madam Chair, I think I've come in under my
19 time estimate. I did have other things in my compendium
20 and other things I was going to cover, but I propose to
21 wrap it up there and --

22 MS. ANDERSON: Yes.

23 MR. CASS: -- keep the time estimate.

24 MS. ANDERSON: Okay. Thank you. And thank you, Dr.
25 Lowry.

26 Mr. Millar, do you have any re-exam?

27 MR. MILLAR: Just a couple of quick questions. But
28 did the Panel have questions first? I can go before or

1 after.

2 MS. ANDERSON: Okay, yes, no questions.

3 **RE-EXAMINATION BY MR. MILLAR:**

4 MR. MILLAR: Okay. Thank you. Just very briefly, Dr.
5 Lowry. Mr. Cass had a discussion with you about some of
6 the concerns that the Alberta regulator expressed about
7 what they described as the transparency of your study, and
8 I understand there were two sources of that.

9 One was your use of SSM software. Do you recall that
10 discussion?

11 DR. LOWRY: SST.

12 MR. MILLAR: SST, pardon me, and that is -- do you
13 still use that software?

14 DR. LOWRY: Well, we -- you know, I'm a big believer
15 in using code for this type of research. It's so much more
16 flexible, and you can consider so many different types of
17 sensitivity, so many variations on the theme.

18 Now, Mr. Cass has been wont to quote the AUC on its
19 attitude about many issues. Well, another thing that they
20 like to talk about there is that, please, in future
21 proceedings, anytime somebody files a productivity study,
22 please provide ample sensitivity analyses so that we know
23 the sensitivity of the study to things like, what's the
24 output specification, what's the average service life.

25 With code it's really easy to come up with 12 and 15
26 different sensitivity analyses. Dr. Makholm provides no
27 such analyses and seems to think it's a matter of principle
28 not to do so.

1 So I think that that code is really great for doing
2 the basic research. Now, when a gentleman like Dr.
3 Makholm, who is accustomed to seeing the results in a
4 spreadsheet, requests a spreadsheet, well, we'll bend over
5 backwards to try to provide it.

6 It is an extra step, and, you know, usually you are
7 only going to do it with the final run, but we were happy
8 to oblige if time permitted, and it did permit in this
9 case.

10 MR. MILLAR: Okay. Thank you for that. I want to be
11 careful I don't abuse my privileges for redirect.

12 This SST software is available for purchase?

13 DR. LOWRY: It is available for purchase, and it is
14 also really easy to follow. You know, there are some of
15 the statements about bringing in the data, for example,
16 that are a little more confusing, but just to read the
17 code, you know, it really makes it very clear what you're
18 doing, whereas with a spreadsheet we feel it is much harder
19 to review the credibility of spreadsheets. Spreadsheets
20 involve tens of thousands of separate calculations that you
21 have to check, whereas the code is done in about 500 lines,
22 so -- at any rate, we've tried to be more open. With every
23 proceeding we learn a little something new, and so from
24 these Alberta proceedings we learned to be a little more
25 cooperative with those who want a spreadsheet.

26 MR. MILLAR: Okay, thank you.

27 With respect to the SNL, the data that you purchased
28 from them, can anyone purchase that data?

1 DR. LOWRY: Oh, of course. It is kind --

2 MR. MILLAR: And indeed --

3 DR. LOWRY: -- of expensive, but -- it is, I think, 20
4 grand, but it's -- anyone can purchase it.

5 MR. MILLAR: And indeed, in this proceeding, subject
6 to him signing the undertaking, you were able to provide
7 those data to the applicants?

8 DR. LOWRY: Yes, and, you know, utilities in -- in
9 this province do this all the time. They have witnesses
10 with some proprietary data of one sort or another, and they
11 expect people to sign confidentiality agreements. I mean,
12 this is just another example of where the AUC is a little
13 quirky. There are some smart people there, but they've
14 made some unusual decisions about a few things.

15 MR. MILLAR: Okay. Thank you for that.

16 Final question --

17 MR. CASS: Madam Chair, I hesitate to object to Board
18 Staff re-examination. I would point out that in addition
19 to the scope that this re-examination has taken on, the
20 last question was a leading question to the witness, which
21 is, I don't think, an appropriate way to do a re-
22 examination.

23 MR. MILLAR: Fair enough. I simply asked if someone
24 could purchase the question -- the data. I don't think
25 that's leading, but I am happy to move on. I have one
26 final question and then I'm finished. I think it is a
27 short one.

28 Dr. Lowry, to the extent someone has the SST software

1 and purchases the SNL data, would they be able to replicate
2 your results?

3 DR. LOWRY: Of course.

4 MR. MILLAR: Okay. Thank you. Those are my
5 questions.

6 MS. ANDERSON: Okay, thank you. I believe that
7 concludes panel -- do my math -- 5. There are a few
8 procedural matters that we wanted to address before we do
9 close for the day, but we can excuse Dr. Lowry. Thank you.

10 So I guess the first matter is the request by Dr.
11 Shepherd of a calculation of savings using a stretch factor
12 of 0.3 percent, and so we have considered it. The company
13 has proposed a zero percent stretch factor. You've also
14 done a calculation of savings that I think I've heard in
15 the order of 411 million. Some people say 410, but it is
16 in that order of magnitude. Dr. Lowry has proposed a
17 stretch factor of 0.3 percent.

18 The Panel would find it helpful to know what those
19 savings would be calculated at at a stretch factor of 0.3
20 percent.

21 MR. SHEPHERD: Madam Chair, there is a set of
22 spreadsheets that are in FRPO 11 that do that calculation,
23 but they also provide all of the background assumptions.
24 And if it can be presented in that way it would make it a
25 lot easier to look at the difference between what the
26 company's proposing and what Dr. Lowry is proposing --

27 MS. ANDERSON: And I know some of your witnesses are
28 not here, Mr. Cass.

1 MR. CASS: Yes, Madam Chair. The issue here is I
2 haven't had an opportunity to canvass this question with
3 others. I'm not sure to what extent it's doable, if I can
4 use that word. I haven't even pulled out FRPO 11 myself to
5 remind myself of what is in there.

6 MS. ANDERSON: So we would like you to undertake to
7 look into that. We would find that calculation helpful
8 whether -- if it can't be done to the level of detail of
9 FRPO, then you could come back to us with what level you
10 could provide. Ideally, it would be consistent with the
11 previous calculation.

12 MR. CASS: Certainly, Madam Chair, we will look into
13 it and see what can be done.

14 MR. MILLAR: Madam Chair, should we assign that an
15 undertaking number?

16 MS. ANDERSON: Yes, please.

17 MR. MILLAR: That will be undertaking J4.1.

18 **UNDERTAKING NO. J4.1: TO RE-CALCULATE SAVINGS SHOWN**
19 **IN FRPO 11 USING A STRETCH FACTOR OF 0.3 PERCENT**
20 **PROCEDURAL MATTERS:**

21 MS. ANDERSON: So next procedurally -- so we have time
22 scheduled for Friday, and it is our hope that -- we wanted
23 to finish off panel 3 and I know we're waiting for panel 6
24 as well. But we would like to finish off panel 3 and our
25 hope is that they are available for Friday.

26 MR. CASS: Yes, they are.

27 MS. ANDERSON: Okay. So then we would finish off
28 panel 3, 6, and then that would be concluding the cross on

1 the evidence.

2 Then we also spoke of scheduling an additional day to
3 look at cross-examination on the undertakings. It looks to
4 us like the first available day is the 28th, and so it is
5 our hope to do that on the 28th.

6 I know there's a lot of parties not here today, but we
7 can have staff communicate that plan.

8 MR. MILLAR: Madam Chair, for the Friday -- forgive me
9 if I've forgotten. I thought there were some time
10 constraints. Will we be starting at 9:30 on Friday?

11 MS. ANDERSON: 9:30.

12 MR. MILLAR: For some reason, I had 10 in my mind. I
13 just wanted to make sure that 9:30 is the start time.

14 MS. ANDERSON: It is the Friday before the long
15 weekend, so I would assume people would prefer to finish
16 earlier rather than later.

17 MR. MILLAR: I don't think that will a problem given
18 the time estimates that we have.

19 MS. ANDERSON: Yes, Dr. Higgin?

20 DR. HIGGIN: The question we had was when would the
21 applicant's argument-in-chief be?

22 MS. ANDERSON: So we'll have to decide that after the
23 28th. Well, potentially before that, but we don't have a
24 date for that at this point. Anything further?

25 MR. CASS: Madam Chair, might I just ask -- I'm
26 sorry, I caught you just as you were about to conclude. Is
27 it not possible that the argument-in-chief could be on the
28 28th? That is one of the possibilities.

1 MS. ANDERSON: That certainly is one of the
2 possibilities, and would be great if we could fit in and
3 conclude by three o'clock.

4 I guess -- hopefully our time estimates in the hearing
5 plan are reasonably accurate, and then we should be
6 finished fairly early with the finishing of panel 3 and
7 with Energy Probe.

8 MR. CASS: Sorry, Madam Chair, I was talking about the
9 28th when we come back.

10 MS. ANDERSON: Oh, yes, the 28th, yes. What would be
11 -- I think we haven't made a determination.

12 The other thing I think would be helpful to the
13 applicants, we've said it's cross-examination on the
14 undertakings and that would be from panels 1, 2 and 3.

15 If parties don't have cross-examination for some of
16 those panels, please advise us and we'll advise the
17 applicants, so they don't have to bring the witnesses in
18 for that if not necessary. So I think that would be -- we'd
19 like to hear what specific areas or which specific
20 undertakings you are planning to cross-examine on. We know
21 it's JT2.4, but what else.

22 MR. SHEPHERD: Madam Chair, you said panels 1, 2
23 and 3. Will we have -- assuming we have undertaking J4.1,
24 I would assume that would be a critical element of that
25 cross and that's not panel 1, 2 or 3.

26 MS. ANDERSON: Yes, the thought was we won't have Dr.
27 Lowry and Dr. Makholm on that day. So I agree that it
28 would also be this undertaking number you just asked for,

1 which hopefully we'll hear back on.

2 DR. HIGGIN: Just one thing, Madam Chair. There were
3 some undertakings, as you know, in panels 2 and 3 that
4 haven't been filed. We hope there won't be any follow-up,
5 but we would just like that opportunity should there be
6 one.

7 MS. ANDERSON: Okay, I think with that, we are
8 closing. Thank you very much.

9 --- Whereupon the hearing adjourned at 4:51 p.m.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28