



ONTARIO ENERGY BOARD

FILE NO.: EB-2017-0319

Enbridge Gas Distribution Inc.

VOLUME: Technical Conference

DATE: June 27, 2018

EB-2017-0319

THE ONTARIO ENERGY BOARD

Enbridge Gas Distribution Inc.

Application for approval of the cost consequences
of the proposed Renewable Natural Gas Enabling Program
and Geothermal Energy Service Program

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Wednesday, June 27, 2018,
commencing at 9:34 a.m.

TECHNICAL CONFERENCE

A P P E A R A N C E S

LAWREN MURRAY	Board Counsel
SHUO ZHANG	Board Staff
Laurie Klein	
DAVID STEVENS	Enbridge Gas Distribution Inc.
JOE DENOMY	
LISA (ELISABETH) DeMARCO	Anwaatin Inc.
JOHN VELLONE	Association of Power Producers of Ontario (APPrO)
MICHAEL BUONAGURO	Balsam Lake Coalition (BLC) Arbourbrook Estates
JULIE GIRVAN	Consumers' Council of Canada (CCC)
BRADY YAUCH	Energy Probe Research Foundation
DWAYNE QUINN	Federation of Rental-housing Providers of Ontario (FRPO)
IAN MONDROW	Industrial Gas Users' Association (IGUA), Enwave
MICHAEL BUONAGURO	Canadian Biogas Association (CBA) and Ontario Greenhouse Vegetable Growers (OGVG)
MARION FRASER	Ontario Sustainable Energy Association (OSEA)
MARK RUBENSTEIN	School Energy Coalition (SEC)

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:34 a.m.	1
Appearances	1
ENBRIDGE GAS DISTRIBUTION INC. - PANEL 1	3
A. Chagani, S. McGill, M. Giridhar	
Presentation by Ms. Giridhar	3
Examination by Mr. Chernick	7
Examination by Ms. DeMarco	43
--- Recess taken at 11:33 a.m.	72
--- On resuming at 11:57 a.m.	72
Examination by Mr. Vellone	72
Examination by Mr. Buonaguro	100
--- Luncheon recess taken at 1:05 p.m.	111
--- On resuming at 1:55 p.m.	111
Examination by Ms. Girvan	111
Examination by Mr. Yauch	123
Examination by Mr. Mondrow	154
--- Recess taken at 3:49 p.m.	180
--- On resuming at 4:02 p.m.	180
Examination by Mr. Rubenstein	180
--- Whereupon the hearing concluded at 4:39 p.m.	197

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. KT1.1: BOARD STAFF TECHNICAL CONFERENCE QUESTIONS	7

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. JT1.1: TO PROVIDE THE DECISIONS AND THE RELATED PROGRAMS ACROSS THE COUNTRY INCLUDING ONTARIO, QUEBEC, AND TCPL'S RELATED TO RNG. ALSO TO PROVIDE MONTHLY CHARGES IF FOUND.	14
UNDERTAKING NO. JT1.2: TO PROVIDE THE GHG CALCULATION AND RELATED INFORMATION, IN RELATION TO OEB STAFF TECHNICAL QUESTION #3.	17
UNDERTAKING NO. JT1.3: TO PROVIDE INFORMATION ABOUT AND/OR COPIES OF DRAFT REGULATIONS IF AVAILABLE THAT OUTLINES THE REGULATIONS TO SUPPORT BIOGAS INJECTED IN ONTARIO TO BE USED BY COMPANIES IN WA; TO FILE PUBLIC DOCUMENTS FOR COMMENT ON THE CLEAN FUEL STANDARD FROM CANADA AND THE PUBLIC COMMENTS ON THE DRAFT RENEWABLE FUEL STANDARD FROM ONTARIO, FILED ON THE RESPECTIVE RFS AND CFS PROGRAMS.	26
UNDERTAKING NO. JT1.4: TO PROVIDE A DELINEATION OF ENVIRONMENTAL ATTRIBUTES, WHO GETS WHAT AND HOW THE CALCULATIONS WORK.	33
UNDERTAKING NO. JT1.5: TO PLEASE PREPARE AN ANALYSIS THAT DERIVES THE LEGALIZED SERVICE FEE THAT IS EQUIVALENT TO THE REVENUE REQUIREMENT (APPENDIX 6, LINE 15) ON THE PRESENT VALUE BASIS OVER THE SERVICE LIFE OF THE ASSET.	41
UNDERTAKING NO. JT1.6: TO PROVIDE THE CHARTS WITH THE ASSOCIATED CARBON ABATEMENT SAVINGS OR REASONABLE ESTIMATE THEREOF.	51

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. JT1.7: (1) TO PROVIDE THE POTENTIAL GREENHOUSE GAS REDUCTIONS DIRECTLY FROM BIOGAS PRODUCERS; (2) TO QUANTIFY THE EMISSION REDUCTIONS, OR THE DECREASED EMISSION REPORTING ASSOCIATED WITH THE POTENTIAL SUBSTITUTION VALUE, IF YOU CAPTURED THIS; (3) TO ATTEMPT TO QUANTIFY THE POTENTIAL RIN OR OTHER ENVIRONMENTAL ATTRIBUTES ASSOCIATED WITH WHAT YOU ARE ALLOWING TO BE INJECTED, IN TERMS OF RINS OR OTHER ENVIRONMENTAL INSTRUMENTS THAT HAVE VALUE.	58
UNDERTAKING NO. JT1.8: TO PROVIDE THE ANALYSIS THAT WENT INTO DETERMINING THAT THE UPGRADING SERVICE WAS A NON-OBLIGATORY SERVICE BUT THE INJECTION IS MANDATORY.	61
UNDERTAKING NO. JT1.9: TO ADVISE WHETHER ENBRIDGE HAVE EVER HAD A SHAREHOLDER RESOLUTION RELATING TO ITS GREENHOUSE GAS POSITION.	62
UNDERTAKING NO. JT1.10: RE: THE POTENTIAL CORPORATE-WIDE EMISSION REDUCTIONS FROM UNDERTAKING JT1.9, TO PUT THAT IN THE CONTEXT OF THEIR CORPORATE-WIDE EMISSIONS; HOW SIGNIFICANT IT IS TO THE CORPORATE-WIDE GREENHOUSE GAS EMISSIONS.	62
UNDERTAKING NO. JT1.11: TO PROVIDE A MAP OF THE PROPOSED LOCATIONS REFERRED TO AT EXHIBIT B1.1, PAGE 11, PARAGRAPH 32; TO PROVIDE A SECOND MAP OVERLAYING THE FIRST NATIONS AND INDIGENOUS COMMUNITIES IN THOSE SAME AREAS, FOR THE UPGRADING SERVICES AND THE INJECTION SITES.	63
UNDERTAKING NO. JT1.12: TO ASK ENGINEERING EXPERTS ABOUT THE SMALLEST SIZE INJECTION STATION THEY COULD PUT IN, AND ESTIMATE A COST, ASSUMING THE RNG PRODUCER IS RIGHT THERE AND ASSUMING A MINIMUM AMOUNT OF PIPE	70

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. JT1.13: TO PROVIDE THE REGULATORY PRECEDENTS FROM THE OTHER JURISDICTIONS; TO PROVIDE AN ANALYSIS OF THE TWO MARKETS	79
UNDERTAKING NO. JT1.14: TO CONFIRM WHETHER REGULATORY COSTS ARE INCLUDED IN CAPITAL COSTS THAT MAY BE INCURRED IN BRINGING FORWARD A LEAVE TO CONSTRUCT PROCEEDING FOR APPROVAL; TO PROVIDE MODEL PROJECTS SHOWING EXPECTATIONS OF WHAT THOSE COSTS WOULD BE	193
UNDERTAKING NO. JT1.15: TO ANSWER THE FOLLOWING QUESTION: WOULD YOU AGREE TO LANGUAGE IN THE RATE HANDBOOK, YOUR CONDITIONS OF APPROVAL, FOR INCLUSION THAT WOULD REQUIRE SUFFICIENT FINANCIAL ASSURANCES FROM PRODUCERS TO COVER ALL UNDEPRECIATED COST OF THE ASSETS' REMOVAL SITE REMEDIATION IF IT WAS SPECIFIC TO PRIVATE ENTITIES?	197

1 Wednesday, June 27, 2018

2 --- On commencing at 9:34 a.m.

3 MR. MURRAY: Good morning, everyone. I think it is
4 probably a good time to get started.

5 This is the technical conference for OEB file number
6 EB-2017-0319, which is Enbridge's application for approval
7 for the cost consequences of two proposed programs: Its
8 renewable natural gas enabling program and its geothermal
9 energy service program.

10 My name is Lawren Murray. I am OEB counsel. With me
11 from OEB staff are Laurie Klein and Shuo Zhang.

12 Before we get started I have one preliminary matter,
13 but before we even address that I think it might be helpful
14 to go through appearances. Perhaps we could start with Mr.
15 Stevens.

16 **APPEARANCES:**

17 MR. STEVENS: Thanks, Lawren. I am David Stevens. I
18 am here as counsel with Enbridge, and sitting with me is
19 Joel Denomy.

20 MS. DeMARCO: Lisa DeMarco. I'm here on behalf of the
21 Anwaatin First Nations communities.

22 MS. FRASER: Marion Fraser. I am here on behalf of
23 OSEA.

24 MR. MONDROW: Ian Mondrow, counsel for the Industrial
25 Gas Users Association. I am also here as counsel for
26 Enwave, but I don't expect in that respect I will be active
27 today.

28 MR. VELLONE: Good morning. John Vellone, counsel for

1 the Association of Power Producers of Ontario.

2 MR. YAUCH: Good morning, Brady Yauch on behalf of
3 Energy Probe Research Foundation.

4 MS. GIRVAN: Julie Girvan on behalf of Consumers
5 Council of Canada.

6 MR. BUONAGURO: Michael Buonaguro. I am counsel for
7 the Canadian Biogas Association and the Ontario Greenhouse
8 Vegetable Growers.

9 MR. RUBENSTEIN: Mark Rubenstein, counsel for the
10 School Energy Coalition.

11 MR. QUINN: Dwayne Quinn on behalf of FRPO.

12 MR. MURRAY: Thank you. Now, having completed
13 appearances I want to raise one preliminary issue.
14 Everyone should have received a letter yesterday from
15 Enbridge to the Board asking that the part of their
16 application relating to the geothermal energy service
17 program be held in abeyance at the current time. People
18 should also have received a letter back from the Board
19 confirming that that portion of the program will be held in
20 abeyance, and so therefore the questions at today's
21 technical conference should be limited to the RNG aspects
22 of the application and questions about the geothermal are
23 not to be asked today.

24 I'm not sure if anyone has any questions or comments
25 or wants to make any statements. If so, now is a good
26 time, otherwise we can get going with Mr. Stevens
27 introducing the panel.

28 MR. STEVENS: Jump in quick. Good morning, everybody.

1 I will just briefly introduce the three witnesses from
2 Enbridge today for the RNG portion of this application, and
3 then the witnesses have just a brief sort of -- some brief
4 introductory remarks.

5 So starting closest to Madam Reporter we have Abbas
6 Chagani. Abbas is a specialist in the business development
7 group. In the middle we have Steve McGill, who is the
8 technical manager in the business development group, and
9 finally we have Malini Giridhar. Malini is vice-president,
10 market development, regulatory, and public affairs with
11 Enbridge Gas.

12 And with that, I will turn it over to the witness
13 panel.

14 **ENBRIDGE GAS DISTRIBUTION INC. - PANEL 1**

15 **Abbas Chagani**

16 **Steve McGill**

17 **Malini Giridhar**

18 **PRESENTATION BY MS. GIRIDHAR:**

19 MS. GIRIDHAR: Good morning, everyone. So what we
20 will do is quickly tell you what portions of the evidence
21 we will each be speaking to, so I'm here to talk to sort of
22 policy issues and, in particular, some of the recent turn
23 of events that have occurred in Ontario and what it means
24 for some of these programs.

25 MR. MCGILL: I'm Steve McGill, and I was actively
26 involved in the development of both our geothermal energy
27 service and RNG enabling program businesses, and I've also
28 been looking after our community expansion program as well.

1 I'm here today to speak to general questions about our RNG
2 proposal and some of the rationale behind that.

3 MR. CHAGANI: Good morning. My name is Abbas Chagani.
4 I'm here to speak about the technical and financial
5 modelling aspects of the RNG application.

6 MS. GIRIDHAR: So first I do have a brief statement
7 concerning the company's letter of June 25th that was
8 already referred to. As noted in the letter to the Board
9 on June 25th, Enbridge remains committed to abating carbon
10 emissions and to supporting the expansion of geothermal
11 energy systems for Ontario homeowners and others.

12 However, given the impending change in the Ontario
13 government and pronouncements made by members of the
14 incoming government regarding the cancellation of the
15 province's cap-and-trade program and the Green Ontario Fund
16 programs, Enbridge is of the view that it is prudent to
17 temporarily set aside a portion of this application
18 concerning its geothermal energy service program at this
19 time.

20 However, Enbridge is of the view that the
21 circumstances concerning renewable natural gas are
22 different, in that a market for RNG and its environmental
23 attributes already exists in British Columbia, Quebec, and
24 other parts of North America.

25 Further, some potential Ontario biogas producers,
26 particularly some municipalities, have an interest in
27 upgrading biogas into RNG for their own use as a means of
28 achieving the goals of their community energy plans,

1 and in the event that cap-and-trade is wound down Enbridge
2 will be seeking a new variance account to record and clear
3 the annual sufficiency/deficiency associated with the RNG
4 enabling program.

5 Finally, the federal government is proposing the
6 introduction of the Clean Fuel Standard, known as CFS, as a
7 regulation under the Canadian Environmental Protection Act,
8 or CEPA, and this regulation is expected to be completed in
9 the fall of 2019 for enforcement in 2021/'22, and I would
10 like to explain why this is relevant.

11 Enbridge and the Canadian Gas Association, CGA, are
12 engaged in this process, and we understand that CFS will be
13 distinct from and apply over and above carbon pricing.

14 What CFS seeks to do is to regulate the reduction of
15 carbon intensity of fossil fuels from production to end-
16 use. In other words, the government will establish a
17 baseline for carbon intensity and then require reductions
18 in their carbon intensity all the way from production to
19 end-use.

20 So the expectation is that qualifying measures for CFS
21 will relate to -- relating to natural gas will include
22 renewable natural gas, hydrogen, methane capture, fuel
23 switching, and carbon capture.

24 Interestingly, what we also understand about CFS is
25 that there will be a market mechanism, but you cannot
26 comply simply by procuring a market instrument. That would
27 be limited to, say, 30 or 35 percent of the production, so
28 you can't claim somebody else's reduction in carbon

1 intensity as your own. Each participant would actually
2 have to reduce the carbon intensity related to their
3 activity.

4 So the CGA is participating on behalf of the natural
5 gas industry to ensure that, you know, the regulations are
6 appropriate, but we're also seeking federal funding for
7 renewable natural gas similar to the funding provided for
8 renewable electricity and biofuel industry in the past.

9 It is important to note that other jurisdictions such
10 as B.C. and Quebec already have regulatory mechanisms to
11 facilitate RNG and also have RNG facilities in operation.
12 What this means is that not moving forward with the RNG
13 enabling service at this point puts Ontario ratepayers at a
14 disadvantage relative to other jurisdictions should these
15 regulations on reducing carbon intensity become enforceable
16 and should funding to comply become available, hence the
17 urgency to proceed with this at this point in time.

18 Also note that not moving forward at this time puts
19 Ontario biogas producers, particularly municipalities that
20 already have projects in execution or in planning phases,
21 at a disadvantage.

22 Over the course of the next few weeks the company will
23 review its geothermal energy service program proposal,
24 consult with stakeholders, and other interested parties
25 with respect to the implications of the incoming
26 government's policies as they relate to this proposal.
27 Once this work is completed, Enbridge anticipates bringing
28 forward updated evidence in support of its geothermal

1 energy services program that will address the changes in
2 the government's climate change and carbon pricing
3 policies.

4 As indicated in our letter to the Board, we anticipate
5 that we will provide an update to the Board concerning the
6 geothermal energy service proposal on or before August
7 31st, 2018.

8 So with that, we will be available for questions.

9 MS. KLEIN: Board Staff have a number of questions.
10 We circulated them yesterday, I believe.

11 MR. MURRAY: The draft questions that were circulated
12 by OEB Staff will be marked as an exhibit, Exhibit KT1.1.

13 **EXHIBIT NO. KT1.1: BOARD STAFF TECHNICAL CONFERENCE**
14 **QUESTIONS**

15 **EXAMINATION BY MR. CHERNICK:**

16 MR. CHERNICK: The first question, A: Given that
17 Enbridge's upgrading service is an optional service and
18 other companies can provide this type of service to Ontario
19 RNG producers, please explain why the upgrading service
20 could not be offered by an affiliate of Enbridge Gas.

21 MR. MCGILL: So I guess the short answer is that the
22 service could be offered by an affiliate of Enbridge Gas
23 Distribution. We don't believe that that would be an
24 appropriate way to do that, given that the cost for the
25 service would end up being significantly higher if done by
26 an affiliate, or another party in the marketplace, given
27 that that business or program would need to compete, in the
28 case of Enbridge internally, for capital against other

1 projects and result in a higher cost of capital that would
2 need to be recovered through the rates charged for the
3 service.

4 So I don't know if you want to go through -- you've
5 got your other sub points there...

6 MS. KLEIN: Can you please explain why it would be a
7 higher cost than if it's between a regulated and an
8 affiliate?

9 MR. MCGILL: Well, the regulated utility has an
10 Ontario Energy Board-approved rate of return, which is the
11 target return that we set our rates to recover, and that
12 results in an overall cost of capital that those rates
13 recover, whereas if you're working in an affiliate or
14 otherwise in the competitive market, you are going to be
15 competing for those sources of capital and depending on
16 what projects are available or lines of business are
17 available at any given point in time. You will probably
18 find that you would have to incur a higher cost of capital
19 in order to have those projects go ahead.

20 MS. KLEIN: Okay. So in terms of i.e. the business
21 model change, and that would be the business model change
22 would be competing internally with other capital projects
23 within the affiliate?

24 MR. MCGILL: Well, I think that's an element or a
25 consideration that would come into an account if an
26 affiliate or another party were to consider offering a
27 service like this.

28 We don't know what that service would look like, or

1 how similar it would be to what we are offering here. As
2 far as we know, what we are doing is somewhat unique. But
3 there are many different ways you could construct a
4 business model to provide all or part of these services, or
5 bundle them up in different ways, and I can't really
6 comment on that, and they would vary from one party to the
7 next.

8 MS. KLEIN: Okay. I'm sort of jumping around, but you
9 were saying that it would be very different. So in B.C.
10 and Quebec, they don't offer, let's say, a monthly fee? It
11 can't be done on a monthly fee basis if it's done by your
12 affiliate?

13 MR. MCGILL: Well again, in other models, you could
14 have a volumetric fee; you could have a flat monthly fee,
15 as we're proposing. It would all depend on the goals and
16 the views of those parties that may want to participate in
17 this type of business.

18 MS. KLEIN: So it can be done similar to the regulated
19 in terms of a monthly fee; it depends?

20 MR. MCGILL: That's right. And as far as we know,
21 there are no other parties offering a service that's
22 comparable to what we are proposing here.

23 MS. KLEIN: Okay. So for A3, please explain whether
24 RNG producers would be impacted by who offers upgrading
25 service, EGD's affiliate or the regulated utility?

26 MR. MCGILL: Yes, and, you know, what we've indicated
27 like earlier is that you would have this competition for
28 capital that would likely result in higher costs, if this

1 were undertaken through an affiliate company or other third
2 parties.

3 And then the other thing is that if a business was to
4 take this on a stand-alone basis, it's not likely that they
5 would, I guess, enjoy the benefits of the accelerated
6 capital cost allowance associated with investments in
7 biogas upgrading equipment and facilities.

8 So, you know, in order to gain the advantage of the
9 accelerated capital cost advantage, you have to have income
10 from other sources in order to apply that tax deduction
11 against. So in order to achieve that, it would need to be
12 a fairly large organization that already has an ongoing
13 taxable stream of income in order to take advantage of that
14 which, fortunately, we're in a situation where we can.

15 MS. KLEIN: Okay, question number 2.

16 MR. MCGILL: Yes?

17 MS. KLEIN: If you could describe the RNG programs in
18 B.C. and Quebec, how they are similar and how they are
19 different?

20 MS. KLEIN: Okay. So the current program in British
21 Columbia is very similar to what we are proposing here.
22 The principal difference is that in British Columbia,
23 Fortis B.C. and the regulator there, the BCUC, has linked
24 the procurement of renewable natural gas together with the
25 process of upgrading the raw biogas to pipeline quality and
26 injecting it into the baseline system.

27 So all of the costs associated with doing that --
28 well, take a step back. The upgrading piece is largely an

1 optional part of the process, similar to what we are
2 proposing here. But all of the costs associated with the
3 production of that RNG are recoverable through Fortis
4 B.C.'s rates. so upgrading, injection, and the cost of
5 acquiring the raw biogas itself.

6 MS. KLEIN: Is it through Fortis BC or Fortis, their
7 affiliate, the alternative energy --

8 MR. MCGILL: No, it's through the regulated entity,
9 Fortis BC.

10 MS. KLEIN: Okay, and in Quebec?

11 MR. MCGILL: Maybe, Mr. Chagani any could elaborate on
12 the situation there.

13 MR. CHAGANI: We're not as familiar with the program
14 in Quebec from a upgrading and injection perspective. We
15 understand that there is a procurement of RNG program. But
16 from an upgrading and injection perspective, we don't have
17 the familiarity with that program.

18 There is -- there are plants actually in Quebec that
19 are injecting directly into TransCanada as well. So we
20 could -- like TransCanada has an injection program that we
21 could provide a little bit more of an overview of.

22 MS. KLEIN: So maybe --

23 MR. MONDROW: Could I ask one question on that topic,
24 if that would be convenient?

25 MS. KLEIN: Yes.

26 MR. MONDROW: Mr. Chagani, can you confirm that in
27 Quebec, the Regis determined a number of years ago that
28 upgrading services should not be operated within a

1 regulated entity?

2 MR. CHAGANI: I'm not fully aware of that decision, so
3 we could...

4 MR. MONDROW: No one on the panel is aware of what the
5 regulator in Quebec has determined in respect of upgrading
6 facilities? You haven't investigated that?

7 MR. STIERS: I think I can answer this sort of at a
8 High level...

9 MR. MONDROW: Sorry, I first would like to know
10 whether anyone in the business has investigated this.

11 MR. STEVENS: I was going to try and help you with
12 that.

13 MR. MONDROW: Okay. Well, I mean, these folks are --
14 why -- VP --

15 MR. MCGILL: As far as we know, the biogas upgrading
16 assets would be a non-utility asset in Quebec.

17 MR. MONDROW: And the regulator has determined that
18 must be the case in Quebec; is that not true?

19 MR. MCGILL: I don't know if they've determined it
20 must be the case, but that is the case, as I understand it
21 today.

22 MR. MONDROW: The regulator has determined that
23 upgrading facilities cannot be put in regulation; are you
24 aware of that, Mr. McGill?

25 MR. MCGILL: I'm aware that they are not in
26 regulation. I don't know the Régie's decision word for
27 word.

28 MR. MONDROW: Okay. So --

1 MR. STEVENS: The problem we've encountered, Ian, is
2 the decisions we've found so far are in French and we have
3 not had them translated, so while we've been able to have a
4 little bit of discussion to try to understand at a high
5 level what's happening, we don't know the details because
6 we simply haven't seen the translated versions.

7 I believe that Mr. Chagani was starting in his
8 conversations with Board Staff to offer that we could take
9 this away and provide more details, but that's going to
10 take us some time to find the English versions of things.

11 MR. MONDROW: Thanks.

12 MS. DeMARCO: Sorry, if I -- there we go. If I could
13 just jump in here, because -- and jump to the chase, I'm
14 going to ask for an undertaking to provide those decisions
15 and the related programs across the country of Ontario,
16 Quebec, and TCPL's related to RNG, so it might be time-
17 saving if I just put that undertaking on the record right
18 now.

19 So both the description of the programs and the
20 associated regulatory decisions associated with those
21 programs.

22 Would you provide that undertaking?

23 MR. MCGILL: Yes, we can do that.

24 MS. KLEIN: And can we include the charges, if there's
25 going to be charges, also too, on that undertaking?

26 MR. MCGILL: We will look to see if there's monthly
27 charges, and if we can find them we will provide them.

28 MR. MURRAY: That will be Undertaking JT1.1.

1 UNDERTAKING NO. JT1.1: TO PROVIDE THE DECISIONS AND
2 THE RELATED PROGRAMS ACROSS THE COUNTRY INCLUDING
3 ONTARIO, QUEBEC, AND TCPL'S RELATED TO RNG. ALSO TO
4 PROVIDE MONTHLY CHARGES IF FOUND.

5 MS. KLEIN: Question 3.

6 MR. MCGILL: Yes.

7 MS. KLEIN: Please provide the GHG reductions of a
8 typical RNG project with EG outlining its assumptions. The
9 GHG reductions are to be attributable to EGD's upgrading
10 and injection service, not to the RNG, the biogas
11 commodity.

12 MR. CHAGANI: So I think the question is a little bit
13 unclear to me, but I can try and frame it and you can let
14 me know if I'm on the right path here.

15 So when you mean the RNG, not the RNG commodity, you
16 mean, like, the natural gas aspect, I believe, not the
17 environmental attributes associated with the gas; is that
18 correct?

19 MS. KLEIN: It's sort of linked to my question number
20 4. What I'm trying to get is the environmental attributes,
21 yes, and --

22 MR. CHAGANI: So for a typical RNG, like a small-size
23 plant that would take in, let's say, 500 million cubic
24 metres of raw biogas per year as an input, the output,
25 assuming about 50 percent methane in that raw biogas, would
26 be 2.5 million cubic metres of gas per year.

27 The environmental -- or the tonnes of CO2 avoided
28 would be 4.6 -- sorry, 4,600 tonnes equivalent that would

1 be avoided, and that is based on the ON.400 emission factor
2 of 0.001875 tonnes of CO2 per M3 -- yeah, go ahead.

3 MS. KLEIN: Is that -- maybe you can with an
4 undertaking show the calculations and this way we can all
5 see them. Is that -- is the environmental attributes,
6 though, connected with the supplier or is it connected to
7 the upgrading and injection service? Because the upgrading
8 service is you're cleaning the gas and the injection
9 service is you're building a pipeline, so I'm trying to
10 connect the GHG connected to your services versus to the
11 actual -- the supplier of the biogas.

12 MR. MCGILL: All right, so that's really the second
13 part of this question. And the way to look at it is that
14 the environmental attributes are associated with the RNG
15 commodity that's produced, and that the upgrading and
16 injection services that we're planning to offer facilitate
17 the production of that RNG, so in our model any of the
18 environmental attributes associated with that RNG that's
19 produced would vest with the producer of the biogas.

20 So depending on what kind of carbon pricing regimes
21 are in place, whatever carbon offset value is associated
22 with that RNG, that would go along with the RNG, and our
23 customer would be able to sell those environmental
24 attributes, presumably, as well as sort of the pure gas
25 commodity itself.

26 MS. KLEIN: Okay.

27 MR. MCGILL: Does that help you or...

28 MS. KLEIN: Yes. So Staff understands it that the

1 upgrading and injection services don't have sort of GHG
2 reductions, like, no GHG reduction would be reduced in
3 your -- let's say your compliance obligation in a cap-and-
4 trade market, but the GHG reductions are connected to the
5 commodity itself?

6 MR. MCGILL: So under the current rules, I'll put it
7 that way, to the extent that RNG is injected into our
8 system, that would reduce on a one-for-one basis in terms
9 of tonnes of carbon the allowance purchase requirement the
10 company has under the cap-and-trade regulations today.

11 MS. KLEIN: But that assumes that you're buying the
12 biogas? I'm kind of confused. Why would you --

13 MR. MCGILL: No, because we don't even need to buy the
14 biogas, so the way the GHG or the carbon emission reporting
15 rules work is that the gas that comes into our system is
16 measured at the gate stations. Based --

17 MS. KLEIN: Okay.

18 MR. MCGILL: -- on that there is a conversion, the
19 formula to convert that volume of natural gas into tonnes
20 of carbon emissions, and that's what our allowance
21 requirement is based on, but part of that determination is
22 that any gas sourced from biomass you subtract from the
23 carbon allowance requirement, so there's a one-for-one --
24 this is the way the rules are written today. So there is a
25 one-for-one benefit just by injecting the gas into our
26 system, and then wherever it goes to beyond that, there's
27 further potential offset benefits that would initially
28 accrue to the producer that they may be able to sell in the

1 market for offsets, or RINs in the U.S., whatever.

2 MS. KLEIN: Can you -- we're doing an undertaking in
3 terms of the GHG calculation. Can you put in the rules and
4 include all of that together in that undertaking?

5 MR. MCGILL: Yes, we can give you the references to
6 the Ontario regulations with respect to GHG reporting.

7 MS. KLEIN: Okay --

8 MS. GIRVAN: Could I ask a question -- sorry, Steven.
9 What rules are you talking about? Are these the rules
10 underlying the cap-and-trade program?

11 MR. MCGILL: I believe it is the GHG ON.400. It's the
12 GHG reporting requirements, which is what our allowance
13 purchase requirement is based on.

14 MS. GIRVAN: But that is tied to the cap-and-trade
15 program. Yes, okay.

16 MR. MCGILL: I tried to make that clear up front, that
17 as of today that's the current rules.

18 MS. GIRVAN: Yeah, no, sorry, I was just -- when you
19 talked about "rules" I wanted to be clear --

20 MR. MCGILL: Yeah --

21 MS. GIRVAN: -- on what rules you are talking about.

22 MR. MURRAY: Just before we have any more questions, I
23 just want to mark that undertaking -- sorry, as an
24 undertaking, JT1.2, the GHG calculation and related
25 information that would be provided.

26 **UNDERTAKING NO. JT1.2: TO PROVIDE THE GHG CALCULATION**
27 **AND RELATED INFORMATION, IN RELATION TO OEB STAFF**
28 **TEHCNICAL QUESTION #3.**

1 MR. MCGILL: Just to clarify that, Julie, those rules
2 and regulations were in place before cap-and-trade, and as
3 part of our overall GHG reporting requirements, and that's
4 the way they were reported, and then when cap-and-trade
5 came in it translated into the determination of the
6 allowance requirement.

7 MS. KLEIN: Lisa?

8 MS. DeMARCO: I'm happy to ask further questions on
9 that when I go -- if you want to complete because I'm next,
10 or whatever works best for you.

11 MS. KLEIN: I'm okay.

12 MS. DeMARCO: Just to clarify that last point, I
13 believe you're talking about the regulatory requirements
14 pursuant to Regulation 416.99 as amended?

15 MR. MCGILL: I would have to check that, but you are
16 probably correct.

17 MS. DeMARCO: And then the associated guidance
18 document for quantification associated with greenhouse
19 gases and allowances for regulated emitters; is that fair?

20 MR. MCGILL: Yes. Are we ready for question 4?

21 MS. KLEIN: No, sorry.

22 MR. MONDROW: Is that a rhetorical question?

23 MS. KLEIN: No, actually we are going through question
24 4, and I'm going 4b. So if EGD is recovering any
25 deficiencies from this program in its GHG-customer variance
26 account, please explain how ratepayers are not funding this
27 program.

28 MR. MCGILL: I think we had an interrogatory response

1 that explained that, and if you just give us a moment,
2 we'll track that down.

3 But, you know, at a high level -- let me make sure
4 I've got the right question here -- 4b, yes.

5 So over the term of the contract the sufficiencies
6 that these investments generate will equal or exceed the
7 deficiency amount. So on a net present value basis over
8 the life of these contracts, customers stand to benefit
9 financially through the fees that we charge for the
10 service, or the rates we charge for the service.

11 And then in the case of the upgrading service, because
12 of the significant capital cost allowance benefits through
13 the income tax that are payable, the upgrading aspect of
14 the service in sufficiency in the early years so that it
15 isn't even deficiency situation. It is actually
16 contributing to reduce rates in the early years, and then
17 it trues-up over the life of the contract to provide a
18 small net benefit to ratepayers overall.

19 MS. KLEIN: And would the RNG producer be considered a
20 ratepayer?

21 MR. MCGILL: Yes, we'd be charging them -- our
22 proposal is to charge them an OEB-approved rate, so I would
23 call them a ratepayer.

24 MS. KLEIN: So would they be getting sort of any of
25 the -- anything in the deferral account, they would be
26 paying for that, too, or the variance account?

27 MR. MCGILL: They wouldn't be seeing that in the fee
28 for the upgrading or injection service. But to the extent

1 that they are a gas customer for other needs, they would be
2 picking up part of that cost through the cost allocation
3 process, or the clearing of the variance account and the
4 cost allocation process through whatever rate schedule they
5 were taking sort of basic service under from us.

6 MS. GIRVAN: Can I just interject? So they're a
7 distribution customer?

8 MR. MCGILL: Yes.

9 MS. GIRVAN: Under what rate class?

10 MR. MCGILL: Well, we are proposing under rate classes
11 400 and 401.

12 MS. GIRVAN: Okay.

13 MR. QUINN: Laurie, if I may, that answer kind of
14 confused me. Are you saying that variance account would
15 only be cleared to customers in rate 400 or 401?

16 MR. MCGILL: No.

17 MR. QUINN: So it's to all customers?

18 MR. MCGILL: Yes.

19 MR. QUINN: Okay. So it's not only visited upon those
20 who are participating in an RNG market? It's all customers
21 are at risk for balances in the deferral account?

22 MR. MCGILL: Well, we are asking all customers to --
23 assuming that there is a debit balance in the deferral
24 account, we would be asking all customers to cover that
25 debit balance.

26 We would also be returning the sufficiencies once the
27 project reaches a point where the revenues exceed the
28 revenue requirement for the project, and we return the

1 sufficiencies.

2 So the way the model works, when you set a rate to
3 achieve a PI of greater than 1.0 over the life of the asset
4 on a discounted cash flow basis, you end up returning a
5 sufficiency to the customers that actually makes rates
6 lower overall over that complete period of time.

7 MR. QUINN: I have some more questions in that area,
8 but I'll defer to later. But you said setting the PI at
9 greater than 1.0.

10 MR. MCGILL: Yes.

11 MR. QUINN: When you design the rate, what are you
12 establishing that number to be?

13 MR. MCGILL: Well, in the example we have in evidence,
14 we've set the PI to be 1.1. And the reason we did that was
15 because if you go back and go through EBO 188, the Board's
16 feasibility guideline for gas system expansion, what it
17 requires for our investment portfolios, both the rolling
18 portfolio and the overall investment portfolio, is that we
19 maintain a minimum PI of 1.0.

20 So what that means is that over the life of the
21 assets, existing customers aren't subsidizing new
22 customers. And then EBO 188 goes somewhat further and says
23 that we should add a safety margin to that 1.0.
24 Traditionally, that safety margin has been an extra 0.1, so
25 we typically target to operate those portfolios to achieve
26 profitability index figures or PIs of 1.1. So that's what
27 we've used here in the example we have in evidence.

28 MR. RUBENSTEIN: If I could just clarify something?

1 When you talked about clearing the deferral account to
2 customers --

3 MR. MCGILL: Yes.

4 MR. RUBENSTEIN: -- you were talking about customers
5 who are consuming natural gas, so not rate 400 -- I don't
6 know if it's rate 400 that you are proposing for this or
7 401, not rate 400 and 401. Those customers will only pay
8 for the life of the contract, the fee?

9 MR. MCGILL: Yes.

10 MR. RUBENSTEIN: And so the comments about, meaning if
11 I'm a landfill now so -- and a gas customer somewhere else
12 in my -- I have a building...

13 MR. MCGILL: Well, you are most likely a gas customer
14 at the site where the RNG is produced, as well.

15 MR. RUBENSTEIN: Fair enough. But it's not with
16 respect to 400 and 401. They are only paying the fixed
17 fee.

18 MR. MCGILL: Not the way our proposal is set right
19 now. So it is their gas consumption under whatever gas
20 distribution rate they would be taking service under, where
21 they would see the clearing of the variance or deferral
22 account coming back to them.

23 But what we've done in rates 400 and 401 is we've
24 designed those such that we can have a set levelized charge
25 throughout the life of the contract, and the main reason we
26 need to do that is to give the producer some certainty
27 around what their costs are going to be produce the gas --
28 or the RNG, rather.

1 And the reason that's important is because in order to
2 get these investments off the ground, we believe that the
3 producers are going to need to enter into long-term sales
4 contracts for the RNG. So by giving them a set price for
5 long period of time, they should be able to -- they should
6 be able to do that, and have a reasonable expectation of
7 recovering their investment and the part of the facility
8 that they are financing over the life of their sales
9 contracts whereby they are selling RNG to parties in the
10 marketplace.

11 MS. KLEIN: Can I clarify then? So when they issue,
12 the RNG producer is considered a ratepayer. If they're not
13 a gas consumer, they wouldn't be considered a ratepayer?

14 MR. MCGILL: No, I would consider them a ratepayer
15 because, as I said earlier, we are proposing that rate 400
16 and rate 401 are Ontario Energy Board-approved rates, so I
17 would consider them ratepayers. It is a different style of
18 rate.

19 MS. KLEIN: Yes, but if they're not gas consumers,
20 they -- the variance account wouldn't be recovered. They
21 wouldn't be part of that recovery.

22 MR. MCGILL: That's correct, they wouldn't see a
23 clearing of the --

24 MS. KLEIN: Okay.

25 MR. MCGILL: -- if they only took rate 400 and/or rate
26 401 services from us, then they wouldn't see any charges
27 coming back to them from the clearing of that variance or
28 deferral account.

1 MS. FRASER: Or any returns?

2 MS. GIRIDHAR: Or credits.

3 MR. MCGILL: Yes, or the later sufficiencies typically
4 in later years. So they are held neutral.

5 MS. KLEIN: Okay.

6 MR. MCGILL: And bear in mind that the way the rate is
7 set is such that overall, there will be a net sufficiency,
8 so they're not participating in that benefit.

9 MS. KLEIN: Okay.

10 MR. MCGILL: Okay?

11 MS. KLEIN: Question number 5a: Please explain what
12 other support EGD is seeking.

13 MR. MCGILL: So I think most of the people here are
14 aware that we did have an RNG procurement process underway
15 earlier this year, and that was premised on the belief that
16 we were going to be supported with funding from the
17 provincial government to the tune of \$100 million that
18 would be available to basically subsidize the cost of
19 procuring RNG supplies.

20 Sometime, I guess it was late in April, we were
21 advised by the province that that would be put on hold
22 pending the outcome of the election that happened a couple
23 of weeks ago, so that at that point in time we notified the
24 respondents to our RFP that we were putting the RFP process
25 on hold and that we would revisit it, you know, if and when
26 we find an alternate way of funding the program.

27 But we still have a lot of potential RNG producers
28 that are interested in investing in RNG production

1 facilities in terms of, you know, anaerobic digesters or
2 building facilities associated with landfills or wastewater
3 treatment plants. Most of those are municipal governments,
4 so that there is still a demand for this kind of service in
5 the marketplace today, even though that Green Energy Fund
6 funding isn't available to support the utility's
7 procurement of RNG at this point of time.

8 MS. KLEIN: So the fact that the -- there is no longer
9 the RNG procurement model or it's been put on hold, that
10 this hasn't impacted your RNG enabling program takeup?

11 MR. MCGILL: No, we still are going ahead with the one
12 customer that we have entered into agreements with to
13 provide these services to them, and we're in discussions
14 with one or two others today that also want to pursue this
15 kind of model.

16 MS. KLEIN: So your estimate of up to 37 RNG
17 production facilities operating by 2025, that hasn't been
18 impacted at all, or...

19 MR. MCGILL: I think it would be impacted. I think
20 there might not be as many as quickly as there otherwise
21 would have been. But there's still a large amount of
22 interest in the market.

23 MS. GIRIDHAR: If I could just add to that? In my
24 opening statement I did talk about federal regulations that
25 are likely in the form of clean fuel standards, and should
26 they pass, you know, we do believe that the interest in RNG
27 will pick up again just to comply with those regulations.

28 MR. QUINN: May I, Laurie, follow up on that?

1 MS. KLEIN: Yes.

2 MR. QUINN: I appreciate, Ms. Giridhar, the
3 explanation up front, but is there evidence about what the
4 draft regulations are or anything on the record for us to
5 have a sense of what may be impending and why Enbridge is
6 of the view that this will pick up again?

7 MS. GIRIDHAR: So we are part of an industry
8 stakeholder group that is participating in these federal
9 discussions. I guess I just have to go back and find out
10 if we are able to share the materials that the government
11 has shared at these task-force meetings, so why don't I
12 take that away.

13 MR. QUINN: I would appreciate that, and to be clear,
14 I would be looking for what the government is saying. I
15 understand the CGA may have its views, and as vested
16 stakeholders in the process I would be interested in what
17 the government is now saying and what may be coming at us
18 that would underpin that renewed interest in RNG.

19 MS. GIRIDHAR: Yeah, so certainly subject to the
20 federal governmental allowing us to provide the materials,
21 we will --

22 MR. QUINN: Okay. Thank you very much.

23 MR. MURRAY: So we will mark that as an undertaking,
24 JT1.3.

25 **UNDERTAKING NO. JT1.3: TO PROVIDE INFORMATION ABOUT**
26 **AND/OR COPIES OF DRAFT REGULATIONS IF AVAILABLE THAT**
27 **OUTLINES THE REGULATIONS TO SUPPORT BIOGAS INJECTED IN**
28 **ONTARIO TO BE USED BY COMPANIES IN WA; TO FILE PUBLIC**

1 DOCUMENTS FOR COMMENT ON THE CLEAN FUEL STANDARD FROM
2 CANADA AND THE PUBLIC COMMENTS ON THE DRAFT RENEWABLE
3 FUEL STANDARD FROM ONTARIO, FILED ON THE RESPECTIVE
4 RFS AND CFS PROGRAMS.

5 MS. DeMARCO: I just wonder if I could add to that
6 undertaking. The government has produced public documents
7 for comment on the Clean Fuel Standard, similar the Ontario
8 government has produced public comments on Ontario's
9 renewable fuel standard. Could you file both of those
10 public documents that both the Government of Canada and the
11 Government of Ontario have filed on the respective RFS and
12 CFS programs?

13 MR. MCGILL: Yes, we can do that.

14 MR. MURRAY: That will be same undertaking, JT1.3.

15 MS. KLEIN: 5c, please explain whether Enbridge Gas's
16 affiliate, Gazifère, is considering procuring biogas in
17 Ontario.

18 MR. MCGILL: It is our understanding -- yeah, so it is
19 our understanding that Gazifère was pursuing an RNG
20 procurement model. It was very similar, if not the same,
21 as what we were pursuing, and it is premised on some
22 government support.

23 And the other aspect to that is that it wouldn't
24 necessarily be limited to RNG supplies originating in
25 Quebec, so Ontario production would qualify as a source of
26 RNG under their program. So if there is RNG produced in
27 Ontario, you know, they could enter into contracts to
28 procure it for use in Quebec.

1 MS. KLEIN: So that's Gazifère and other companies in
2 the cap-and-trade --

3 MR. MCGILL: In Quebec, so --

4 MS. KLEIN: -- in Quebec.

5 MR. MCGILL: -- so presumably GMI would be in the same
6 position.

7 MS. KLEIN: Okay. Now, is that the same -- would
8 California also qualify for that, that if Ontario is
9 producing RNG, California companies, it would qualify?

10 MR. MCGILL: It's my understanding that under the
11 WCI --

12 MS. KLEIN: Yes.

13 MR. MCGILL: -- that would be the case, so given the
14 current state of affairs we're not certain how this is
15 going to unwind --

16 MS. KLEIN: So if we're -- oh --

17 MR. MCGILL: Excuse me.

18 [Witness panel confers]

19 MR. MCGILL: Yeah, so just to be clear, the WCI
20 participants can source RNG from anywhere in North America,
21 and then it qualifies for -- as an offset to their
22 allowance requirement or carbon allowance requirement --

23 MS. KLEIN: So anywhere in North America, so Ontario
24 doesn't -- for whatever reason, Ontario is no longer part
25 of the WCI. They -- so anywhere in North America WCI -- so
26 California, Quebec can source RNG in Ontario?

27 MR. MCGILL: Well, I think, yes, you know, subject to
28 what happens around the WCI. The RNG can be sold anywhere

1 in North America, and then it's just a question of what the
2 environmental attributes would be valued at in various
3 jurisdictions, so --

4 MS. KLEIN: What rule is that?

5 MR. MCGILL: Pardon me?

6 MS. KLEIN: What rule is that in the WCI? Where is
7 that? Do you have the source for...

8 MR. CHAGANI: So my understanding of the program is
9 that it's not a WCI program specifically, it is actually a
10 U.S. EPA program. It's under the RIN, which is a renewable
11 identification number, and there are certain participants
12 that are required to purchase these renewable
13 identification numbers, so there is a track for this RNG to
14 be, I guess, piped into the U.S. down to the consumer that
15 requires that, which will then produce a renewable
16 identification number.

17 Now, the specific regulations and, I guess, the
18 overall program, we -- or at least I don't have a full
19 understanding of where it's all based out of. It is a
20 U.S.-based program, but at a high level that's the gist of
21 it.

22 MS. DeMARCO: I wonder if I could jump in with an
23 undertaking here. Perhaps you are conflating the
24 California Low Carbon Fuel Standard, the Federal EPA
25 Renewable Fuel Standards, and I wonder if you could you
26 undertake to provide with us a clear delineation of the
27 associated valuation of all of the elements that -- of the
28 renewable fuel requirements that you are working under,

1 including the California Low Carbon Fuel Standard, the
2 Federal EPA Associated Renewable Fuel Standard, and the
3 Ontario Renewable Fuel Standard, and the Canadian Clean
4 Fuel Standard?

5 MR. STEVENS: I'm sorry, I am a bit confused by the
6 notion of all the standards you are working under. I mean,
7 I assume these would be the standards that the producers
8 would be working under. I mean, Enbridge isn't talking
9 about being the producer or the owner of this RNG.

10 I'm just trying to fit it into the relief sought in
11 this case.

12 MS. DeMARCO: Yes. I'd understood that, in fact,
13 Enbridge is claiming ownership of the indirect greenhouse
14 gas reductions and potential environmental attributes from
15 transporting the fuel, whereas the biogas producer is
16 claiming ownership of the direct emission reductions
17 associated from that. But I could have that wrong.

18 MR. MCGILL: No, our proposal is that the producer of
19 the biogas would retain the rights to all the environmental
20 attributes associated with the RNG that's produced, so that
21 we wouldn't be taking a position in any of those potential
22 offsets, or RINs, or whatever other vehicles come about.

23 MS. DeMARCO: Just so that I'm clear, you would in
24 fact be taking a position in terms of the displacement
25 emissions associated with what's at your gate and what you
26 now have quantified as decreased allowances, but what could
27 be quantified as voluntary emission reductions or other
28 emission reductions in other programs.

1 MS. GIRIDHAR: Under the other GHG reporting rules
2 that are in existence today, but obviously absent a cap-
3 and-trade framework. I mean, we have to determine what
4 value that is for us.

5 MS. DeMARCO: Just so I'm clear...

6 MS. GIRIDHAR: There is a reporting value to it, but
7 at this point, there is no monetary value if cap-and-trade
8 did not survive. I think that was the sense in which we
9 said the environmental attributes go with the gas.

10 MR. MCGILL: So even the value of those environmental
11 attributes under cap-and-trade would still rest with the
12 producer of the gas, the RNG in our model. They wouldn't
13 necessarily come to Enbridge through the process of
14 providing the enabling service.

15 MS. DeMARCO: So perhaps we're stepping -- tripping
16 over the definition of environmental attributes. You've
17 got the direct emission reductions associated with the non
18 emission of biogas, right?

19 MR. MCGILL: Right.

20 MS. DeMARCO: One class of environmental attributes.
21 Those stay with the biogas producer; that's fair?

22 MR. MCGILL: Yes.

23 MS. DeMARCO: And then you have displacement
24 emissions. You don't have regular natural gas going on
25 your pipeline, you have RNG going on your pipeline.

26 MR. MCGILL: Yes.

27 MS. DeMARCO: And right now, those are quantifiable,
28 valuable in the form of decreased allowances that you're

1 required to purchase.

2 MR. MCGILL: So that secondary benefit fit I would
3 refer to as the substitution benefit which, through the
4 existing reporting regulation, reduces our allowance
5 purchase requirement.

6 So that benefit is coming to the utility and its
7 customers, by virtue of the fact that it reduces the number
8 of allowances or offsets we have to acquire and then
9 subsequently recover the cost within rates.

10 MS. DeMARCO: So the substitution or displacement
11 benefit remains yours, whether or not you are under Ontario
12 cap-and-trade, a federal carbon tax, or otherwise, fair?

13 MR. MCGILL: Yes.

14 MS. DeMARCO: And then there is a third classification
15 of instruments that fall within your definition of
16 environmental attributes, and those could be eligible
17 instruments under other programs including lower carbon
18 fuel standards; fair?

19 MR. MCGILL: Potentially, yes, depending on how that
20 legislation unfolds.

21 MS. DeMARCO: Ontario-related lower carbon fuel
22 standards, the renewable fuel standards, Canadian clean
23 fuel standards, U.S. EPA renewable fuel standards, and then
24 California --

25 MR. MCGILL: And then California.

26 MS. DeMARCO: -- low carbon fuel standard.

27 MR. MCGILL: Yes.

28 MS. DeMARCO: So those environmental attributes are

1 also to the account of the biogas producer?

2 MR. MCGILL: Yes.

3 MS. DeMARCO: So three types of environmental
4 attributes, two to their account, one to yours?

5 MS. GRICE: Yes.

6 MS. DeMARCO: Could you please undertake to provide
7 that delineation, who gets what and how the calculations
8 work?

9 MR. MCGILL: We can attempt to do that, yes.

10 MR. MURRAY: That will be undertaking JT1.4.

11 **UNDERTAKING NO. JT1.4: TO PROVIDE A DELINEATION OF**
12 **ENVIRONMENTAL ATTRIBUTES, WHO GETS WHAT AND HOW THE**
13 **CALCULATIONS WORK.**

14 MS. KLEIN: I'm not too sure, Lisa, if that solves --
15 my question was: So any -- the RNG that is put in
16 Enbridge's distribution system now can be bought anywhere
17 in North America? Not just the U.S., it's North America.

18 MR. MCGILL: Yes.

19 MS. KLEIN: So California, anywhere in North America,
20 okay. I just want to confirm that.

21 MR. CHAGANI: So that is our understanding, but it has
22 not been tested yet as there is no RNG production in
23 Enbridge's region right now.

24 But our understanding is that any jurisdiction that
25 requires RNG would be able to purchase it once it's
26 injected into a natural gas distributor within North
27 America.

28 MS. KLEIN: How would you test this? What would --

1 you would have to get a contract and see if it...

2 MR. MCGILL: Well, it would be one -- it would be an
3 Ontario RNG producer that would enter into a contract to
4 sell their RNG, and the instruments perhaps that are
5 associated with that RNG production.

6 My understanding is the way the rules work,
7 particularly in the U.S., is that once the RNG is injected
8 into a certified pipeline, then the environmental
9 attributes in terms of RINs, offsets, et cetera, basically
10 are separated from the gas and from that point on, the gas
11 is just treated like any other volume of natural gas. But
12 then these other instruments sort of take on a life of
13 their own and have a value in various carbon markets.

14 MS. KLEIN: Okay. Question number 6.

15 MR. MCGILL: Yes?

16 MS. KLEIN: A: Please explain whether the agreement
17 with the City of Toronto includes Enbridge Gas procuring
18 any of the biogas from the City of Toronto.

19 MR. MCGILL: So this is an easy one. The answer is
20 no.

21 MS. KLEIN: Okay. Do you know if the City of Toronto
22 has signed any sort of contracts for its biogas, or...

23 MR. MCGILL: No, and we wouldn't be privy to that
24 information in any case. I think it's really up to the
25 city what they decide to do with the RNG that is produced
26 out of their facility.

27 MS. KLEIN: Right. Question number 7.

28 MR. MCGILL: Yes.

1 MS. KLEIN: If the OEB approves Enbridge Gas' and
2 Union Gas' Amalco application, please explain whether
3 Enbridge Gas will start entering into discussions with
4 municipalities in Union's current service territory for its
5 RNG enabling program.

6 MR. MCGILL: Well, I think we are awaiting the Board's
7 decision in our two MAADs applications -- I guess there's
8 four all together across the two organizations right now.
9 That will have a bearing on how and to what extent
10 integration does take place between the two entities and
11 that's something that we'll have to address, you know,
12 these programs, along with many others, in terms of how
13 they are going to be delivered by that integrated entity
14 and I think it is premature to try to speculate on exactly
15 how that will unfold.

16 MS. KLEIN: Okay, thank you.

17 MS. ZHANG: Question 8: Please identify any
18 precedents where Enbridge Gas used the EBO 188 guideline
19 for the TCF analyses for rate-setting purposes.
20 Specifically, please identify any precedents where revenues
21 or service fees are the outputs from the analyses to
22 achieve a PI greater than 1.0.

23 MR. MCGILL: Yes. So I think the best example of that
24 is our rate 125 bypass rate, where we basically follow the
25 same process we're using under rate 400 and 401 to
26 determine the rate for these RNG upgrading injection
27 facilities.

28 So in terms of rate 125, that is exactly how we can do

1 it. We determine the cost of the facilities. We determine
2 the revenue requirement over the life of those facilities
3 that's required to recover depreciation, return and tax and
4 O&M costs associated with them, and that's what becomes the
5 rate under rate 125.

6 MS. ZHANG: Just to clarify, are we talking about the
7 demand charge or the volumetric charge?

8 MR. MCGILL: It's the billing charge.

9 MR. QUINN: If I may, the billing charge, are you
10 saying is it a monthly service fee that is rate 125 or is
11 it a demand charge based upon a certain right to a certain
12 amount of volume?

13 MS. GIRIDHAR: So for rate 125 we do have a rate that
14 is derived as an outcome of a cost allocation process. For
15 dedicated rate 125 customers served off a dedicated line,
16 we have a bypass competitive calculation that uses this DCF
17 process to set a billing contract demand, which then
18 becomes the basis for rate 125's charges.

19 MR. QUINN: So billing contract demand which gives
20 them a right to a certain volume on a daily basis or a
21 monthly basis?

22 MS. GIRIDHAR: It's used -- the billing contract
23 demand is used for the sole purposes of billing the
24 customer, is my recollection, so I worked on it 15 years
25 ago, so apologies, my memory is not great.

26 MR. QUINN: No problem, Malini. I am just, I'm trying
27 to discern between a variable charge based on how much
28 volume they are taking or it's just a, here's your bill

1 every month, it is the same amount every month independent
2 of volume.

3 MS. GIRVAN: It is a fixed rate. It's --

4 MR. QUINN: Fixed rate. So fixed rates, so it's more
5 like a demand --

6 MS. GIRIDHAR: Correct, just like a --

7 MR. QUINN: Okay. Thank you.

8 MR. BUONAGURO: May I ask one follow-up question? Is
9 it also based on a PI of 1.1?

10 MR. CHAGANI: It is based on a PI of 1.

11 MR. BUONAGURO: Thank you.

12 MS. ZHANG: Okay, (b), (b) describes a methodology
13 where the service fees can be determined through -- on a
14 present-value basis, the service fee can be determined to
15 be equivalent to the revenue requirement.

16 Can you please discuss if Enbridge had considered this
17 type of a methodology to assess service fees. If so,
18 please explain why Enbridge Gas decided not to use this
19 methodology. If not, why not?

20 MR. MCGILL: So, like, our understanding of the
21 methodology you've described in the question is that it is
22 -- results in the same outcome as the regular PI
23 calculation. It's just a different way of stating the same
24 equation, so that -- you know, and that's what we've used
25 in determining, in the example we have in evidence, what
26 the monthly charges would be under rate 400 and 401 in this
27 example.

28 So -- and again, we've, you know, we set the PI to

1 1.1, so it's basically just -- what you're proposing is
2 just basically a reworking of the PI calculation that would
3 end up with exactly the same result as what we have
4 proposed.

5 MS. ZHANG: No, what is described here is, calculate
6 the service fees based on the revenue requirement rather
7 than based on the discounted cash flow. So say over the 20
8 years we can calculate the accumulated present value of the
9 revenue requirement.

10 MR. MCGILL: Yes.

11 MS. ZHANG: And then we can get a fixed -- still a
12 fixed -- a constant monthly -- monthly service fees that
13 can get the summation of the present value over the 20
14 years, which is equal to the revenue requirement.

15 MR. MCGILL: But that's --

16 MS. ZHANG: So here we were not touching the cash
17 flow, we were just looking at the revenue requirement over
18 the term of the contract.

19 MR. MCGILL: Okay. The way I understand what you are
20 proposing is that the net present value of the revenue
21 requirement is what becomes the numerator in the PI
22 calculation. The denominator in the PI calculation is the
23 net present value of the cost of providing that service, so
24 that's the net present value of the capital asset, cost of
25 capital, tax impacts, and O&M cost, so you have the net
26 present value of the revenue stream divided by the net
27 present value of the costs, and you set that revenue
28 requirement as the numerator in order to achieve a PI of 1

1 or greater and the PI calculation, which is what we did to
2 calculate the rates under Rate 400 and 401, so as far as I
3 can make out, we're basically doing this the way you've
4 proposed. It's just that the mathematics -- it's just the
5 equation is turned around mathematically, but it just ends
6 up in the same result.

7 MR. MONDROW: I don't understand that. If the request
8 is to calculate a revenue requirement which is based by
9 definition on cost --

10 MS. KLEIN: I can't hear you.

11 MR. MONDROW: -- return -- pardon?

12 MS. KLEIN: Trouble hearing you. I don't think that
13 mic's working. Sorry.

14 MR. MONDROW: If the calculation is based on a revenue
15 requirement, which is driven by definition by cost, why
16 would you then have a denominator at all? Why wouldn't you
17 calculate a revenue requirement based on the costs and
18 simply levellize that, so divide by number of years?

19 MR. MCGILL: Well, that's basically what we do, but we
20 are following the methodology in EBO 188, so it sets out
21 the PI calculation exactly, what goes into the numerator,
22 what goes into the denominator. You calculate a PI, so if
23 the PI turns out to be less than 1, then that customer
24 addition in the typical sense would be subsidized by
25 existing customers.

26 MR. MONDROW: I understand, but the numerator in that
27 calculation is not a revenue requirement, it is a cash
28 flow, right? Maybe you get to the same answer, but the

1 process is actually a different process, and I think
2 they're asking for that process.

3 MR. MCGILL: Well, I think it's a distinction without
4 a difference --

5 MR. MONDROW: Maybe.

6 MR. MCGILL: -- in that it's the net -- what's in the
7 numerator or the PI calculation is the net present value of
8 the net revenue over the life of the --

9 MR. MONDROW: The net revenue, but not the revenue
10 requirement; those are different concepts. They may be the
11 same number, but they are different concepts.

12 MR. MCGILL: Yes.

13 MR. MONDROW: And there is no denominator involved in
14 that. You just take the revenue requirement and you divide
15 it by the number -- well, I guess there is. It is the
16 number of years.

17 MR. MCGILL: Yeah.

18 MR. MURRAY: Perhaps it might be helpful -- would it
19 be possible for Enbridge to give an undertaking to show --
20 like, I understand your position is at the end you get to
21 the same number, but there's different calculations to get
22 to that number, so could you do the calculation using
23 discounted cash flows and beside it using revenue
24 requirement so you can kind of show how you go through the
25 calculation and the number you get to in the end?

26 MR. MCGILL: Just give us a moment.

27 [Witness panel confers]

28 MR. CHAGANI: So to answer Lawren's question, we can

1 undertake to do that, but I will bring your attention to
2 Appendix 5 and Appendix 6, so Appendix 5 is the DCF
3 calculation that you are referring to, okay?

4 Appendix 6 is actually the revenue-requirement
5 calculation that seeks -- that achieves a PI of 1.1. So
6 perhaps an addition to this revenue-requirement calculation
7 showing the present value. So if we were to go to line 15
8 and line 17, if we were to take the present value of those
9 two lines, what we would see is that one divided by the
10 other would be 1.1.

11 In your example you are saying if the two could equal,
12 which would result in 1 divided by the -- so 16 divided by
13 -- sorry, 15 divided by 17 would be equal to 1, in our case
14 it's 1.1, so we could undertake to show that present value
15 calculation if that's helpful.

16 MR. MURRAY: Yes, that would be helpful. That will be
17 Undertaking JT1.5.

18 **UNDERTAKING NO. JT1.5: TO PLEASE PREPARE AN ANALYSIS**
19 **THAT DERIVES THE LEGALIZED SERVICE FEE THAT IS**
20 **EQUIVALENT TO THE REVENUE REQUIREMENT (APPENDIX 6,**
21 **LINE 15) ON THE PRESENT VALUE BASIS OVER THE SERVICE**
22 **LIFE OF THE ASSET.**

23 MS. ZHANG: Can I clarify one more thing here? In
24 Appendix 6 here you are saying that line 15 over line 17,
25 in the way I described here, will get a PI 1.0, so my
26 understanding is that Enbridge Gas -- what Enbridge Gas is
27 proposing here is a methodology to set rates.

28 So even if we get a 1.1 here like in some other cases,

1 the PI value depends on the capital spending and O&M
2 spending, the PI value can be different.

3 So which means -- so, what I'm proposing here is to do
4 a calculation to determine their service fees based on
5 revenue requirement, then go back to do the TRC analysis
6 and see if we can get a PI greater than 1 or not.

7 MR. CHAGANI: So the methodology that you are
8 describing is the methodology that we undertook to
9 calculate do the calculate line 17.

10 I just want to take a step back. I said 15 divided by
11 17 would equal 1.1. It is actually the opposite. Line 17,
12 which is the service revenue over the 20-year term, if we
13 were to take the present value of that divided by line 15,
14 which is the revenue requirement -- sorry, the present
15 value of the revenue requirement, that would equal 1.1.

16 The way that we have calculated line 17 is first
17 determining what the present value of the revenue
18 requirement is, line 15, and then goal seeking a set rate
19 over the 20-year term that would give us a present value
20 equal to 1 or greater.

21 So to answer your question, I think we're doing
22 exactly what you've described.

23 Now, the one thing we want to add to that is that when
24 you have a revenue requirement that's different than your
25 revenue, on a year to year basis you will see a sufficiency
26 and a deficiency. That's what we are trying to recover
27 with the variance account.

28 But over that 20-year term, because the present value

1 of the two of them will be equal, the sufficiencies will
2 cancel out the deficiencies. And in this example, when
3 it's greater than 1, the sufficiencies exceed the
4 deficiencies over the life of the contract.

5 MR. MURRAY: Okay, thank you. Those are all the
6 questions for OEB Staff. Next on the list is Ms. DeMarco.

7 **EXAMINATION BY MS. DEMARCO:**

8 MS. DeMARCO: Thanks very much. I'm going to try and
9 be surgical about what Board Staff has very graciously let
10 us interject in already, and try to streamline a bit.

11 Broadly, Ms. Giridhar, you spoke very basically to the
12 impact of government's -- now the provincial changing
13 government announcements on the RNG program. I wonder if
14 you could specifically comment on the impact of that on
15 your mandated to undertake the RNG program.

16 MS. GIRIDHAR: You know, I should remind us here that
17 we first came to this Board with an RNG program in 2011,
18 long before cap-and-trade came into existence. So we
19 believe that despite the pronouncements of the incoming
20 government on cap-and-trade, this new incoming government
21 has not actually said that carbon emissions reductions is
22 not important to them.

23 To the best of our understanding, they have actually
24 talked about a \$500 million fund for carbon emissions
25 reductions.

26 So the focus on carbon emissions reductions remains
27 and certainly Enbridge, quite apart from Enbridge Gas
28 Distribution, operates in -- I can't remember how many

1 states and how many provinces in both the U.S. and Canada,
2 and we seek to work with the local -- the government
3 policies in each of these jurisdictions.

4 In our view, emissions reductions continues to remain
5 a focus. RNG is a means of achieving emissions reductions,
6 and as we look at carbon pricing and regulations
7 complementing each other in this space, we note that there
8 are several regulations that we will continue to be
9 subjected to, whether they emanate from the federal
10 jurisdiction, we note that several municipalities have
11 community energy plans. I'm told that 80 percent of our
12 customers live in municipalities with community energy
13 plans that specifically look to carbon reduction, or are
14 targeting carbon reductions.

15 So for all of these reasons, our focus on RNG remains,
16 despite the provincial government's views on carbon
17 pricing.

18 MS. DeMARCO: Is it fair to say that commitment is
19 from your C suite on down?

20 MS. GIRIDHAR: As I said, Enbridge does believe it has
21 a responsibility to look at emissions reductions across all
22 of its jurisdictions, and to respond to the various levels
23 of government in how it designs its programs.

24 So I think it's fair to say that commitment exists all
25 the way down.

26 MS. DeMARCO: Specifically in relation to the
27 granularity of this application, many of your references
28 refer to the associated avoided allowance costs, the

1 associated regulatory regime, mandatory regulatory regime,
2 and all of your financial statements associated with it.

3 I'm just going to try to name them all, but you'll
4 forgive me if I've missed one.

5 It's Exhibit B, tab 1, schedule 1, appendix 5 on
6 general economic feasibility, appendix 6 on the revenue and
7 revenue requirement generally with the RNG service writ
8 large, and then appendix 7, specific to the RNG injection,
9 the economic feasibility, appendix 8 specific to the
10 revenue and revenue requirement associated with the RNG
11 injection services, and then finally your ultimate rate
12 design, rate 400 and 401 changes, all in fact stem from
13 some of the mandates; is that fair?

14 [Witness panel confers]

15 MR. MCGILL: All of the exhibits you've referenced
16 have been formulated through our adherence to the EBO 188
17 feasibility guideline, which has been around since 1998 or
18 1999. So it predates all of the carbon cap-and-trade,
19 carbon pricing legislation that's been in place in Ontario.

20 So what we've done is we've tried to build this
21 business model as a utility business model, using existing
22 regulatory frameworks and guidelines that have been in --
23 some of them have been in place for many, many years.

24 So the way those exhibits were constructed and the way
25 those figures are calculated are consistent with those pre-
26 existing regulatory frameworks and guidelines, and would
27 not be impacted at all by the government's legislation with
28 respect to carbon pricing in Ontario.

1 MS. DeMARCO: So I'll get into the specifics of the
2 statements. But generally, the mandate that you state,
3 that is the impetus for this application is in part the
4 Ontario cap-and-trade system; fair?

5 MR. McGILL: I think that was one of the underlying,
6 driving considerations behind the RNG enabling model that
7 we constructed. But it has been designed so that it will
8 stand up and work with or without carbon pricing in
9 Ontario, and that's what we're proposing to do.

10 There's parties that are interested in producing RNG
11 and that -- you know, we feel it's an important and an
12 appropriate part of the role of the gas utility to help
13 them and facilitate that -- the production of that gas.

14 MS. GIRIDHAR: I'm just going to jump in here --
15 sorry, go ahead.

16 MS. FRASER: Wouldn't it be fair to say that the value
17 of carbon reductions hasn't changed; the mechanism has --
18 may be changing depending on what the government actually
19 does. But the value of reducing carbon to the environment
20 has not changed; the pricing mechanism has changed?

21 MS. GIRIDHAR: I think what -- because our proposal
22 stands on its own whether we have a provincially-mandated
23 carbon pricing or not.

24 If you look at our customers that are wanting the
25 service -- for example, municipalities -- they have goals
26 around carbon reduction that they are trying to fill with
27 this. We understand that there are other industrial
28 customers, for whatever reason -- corporate social

1 responsibility, or whatever. They may be operating in
2 carbon jurisdictions elsewhere. For whatever reason, there
3 is a demand for RNG from municipalities and other consumers
4 of natural gas, whether or not a provincial carbon pricing
5 regime exists, so to that extent I do agree with you.

6 And I do want to point out, you know, I mean, just as
7 a leader of this team, I am very impressed with the
8 innovative approach that the team has taken in terms of
9 actually using all of the principles that already exist,
10 the precedents that the Board has already established in
11 its regulation of natural gas, in coming up with this
12 proposal that we have here. So we are relying on EBO 188.
13 We are relying on precedents where the Board has permitted
14 a plain-vanilla utility offering to coexist with
15 competitive offerings. We are using the way the Board has
16 looked at cost allocation. So all of these principles are
17 long-standing principles in the derivation of this
18 proposal.

19 MS. DeMARCO: So maybe it is easier if we just jump
20 right into the specific schedules to get to where I'd like
21 to go to get a better understanding of it, but before we do
22 that, fair to say that in the absence of an Ontario cap-
23 and-trade program every indication right now is that there
24 will be a federal back-stop tax; fair?

25 MR. MCGILL: That's our understanding, that the
26 federal government intends to implement some form of
27 carbon-pricing regime next year.

28 MS. DeMARCO: And instead of decreased allowance

1 purchases you will have decreased taxes if you pursue --
2 decreased carbon taxes if you pursue this program; is that
3 fair?

4 MR. MCGILL: I would say that's potentially, yes,
5 depending on the specific requirements of the federal
6 legislation and how it's going to work.

7 MS. DEMARCO: Perhaps we can turn to Exhibit B, tab 1,
8 Schedule 1, Appendix 5, which is your RNG BMS economic
9 feasibility. And I see a number of aspects of page 3 there
10 where you go through the spreadsheet of how you come up
11 with the associated NPV and PI and then the associated
12 revenue requirement on the next schedule, which is
13 Appendix 6.

14 And very specifically, you've got the rate base
15 aspects that are coming to bear, in terms of the cost that
16 you estimate it will require to provide the service; do I
17 have that right?

18 MR. MCGILL: Yes, well, the schedule sets out or
19 determines the revenue requirement and then compares that
20 to the forecast revenue in each year, and the netting of
21 those two figures results in an annual revenue deficiency
22 or sufficiency as the case may be from one year to the
23 next.

24 MS. DEMARCO: Right. So you've got an associated rate
25 base and then at line 10 is return on rate base; is that
26 fair?

27 MR. MCGILL: Yes.

28 MS. DEMARCO: And then line 11 is O&M, which is your

1 cost of providing the services.

2 MR. MCGILL: Yes.

3 MS. DeMARCO: Municipal taxes, depreciation, et
4 cetera. What I'm not seeing here, and correct me if I'm
5 wrong, is either O&M or other savings associated with
6 decreased allowance purchases or decreased cost.

7 MR. MCGILL: Okay, so what we've done here is we've
8 used the EBO 188 feasibility calculations to determine what
9 the revenues are we need in order to support the investment
10 and the facility that's assumed in this example and achieve
11 that profitability index of 1.1 in this example, so that
12 there's no provision in EBO 188 to take into account other,
13 call them ancillary benefits that might accrue to either
14 the individual customer that's taking the service or
15 ratepayers in general. So we didn't attempt to try to
16 model in any sort of overall carbon abatement benefit into
17 these calculations, because we're doing our dead-level best
18 to adhere to the requirements of EBO 188.

19 MS. DeMARCO: But just to be clear, that value, the
20 actual savings, the lack of expenditure, doesn't accrue to
21 the customers generally, it's for you. You have to require
22 -- you have to purchase fewer allowances or will have to
23 pay less tax; is that fair?

24 MR. MCGILL: Well, no, to the extent our allowance
25 requirement is reduced through the injection of natural --
26 or RNG into the gas distribution system, that's a benefit
27 that flows through to all of our ratepayers through the
28 entire cap-and-trade mechanism, so we have an allowance

1 requirement. We purchase the allowances on a forecast
2 basis. The cost of those allowances are included in our
3 gas distribution charge. The variances between the
4 forecast cost of those allowances and the actual cost
5 allowances over time are tracked in the customer GHG
6 variance account and then periodically cleared through to
7 rates to true-up from the forecast of the carbon allowance
8 cost to the actual.

9 So to the extent that bringing these RNG facilities
10 online reduces the allowance requirement, it reduces the
11 number of allowances we have to purchase and it also
12 reduces the amount -- or the cost of those allowances that
13 we have to recover in rates.

14 So the entire benefit flows through to the general
15 ratepayer population, not the company.

16 MS. DeMARCO: Okay, so fair to say the savings are not
17 reflected in this calculation?

18 MR. MCGILL: That's fair to say, yes.

19 MS. DeMARCO: And all customers appear to be
20 benefiting from what the biogas producer is paying for; is
21 that fair?

22 MR. MCGILL: They would be benefiting to the extent
23 RNG is injected into the gas distribution system.

24 MS. DeMARCO: I wonder if I can ask you to update
25 these appendices, 5, 6, 7, 8 to reflect a line item showing
26 at least a reasonable estimate of the range of savings?

27 MS. GIRIDHAR: What carbon -- based on a carbon price?

28 MS. DeMARCO: Avoided allowance purchases currently,

1 as it currently stands, or avoided carbon tax at the
2 announced price, the legislated -- now legislated price of
3 \$20 a tonne?

4 MR. MCGILL: I think we can take that away and attempt
5 to do that. Sitting here off the top of my head I'm not
6 quite sure how we would introduce that into, you know, the
7 feasibility model. But we could identify what those
8 benefits would be based on the example we have in evidence,
9 and then it would be a matter of determining how we
10 introduce -- whether or not it is appropriate to introduce
11 them into the feasibility calculation that is driving the
12 rate we're setting. So -- and you would introduce lots of
13 questions: Well, should that benefit go back to the RNG
14 producer through a reduced fee for these service or should
15 it flow through the GHG customer variance account and be
16 for the benefit of all customers? We have to make certain
17 assumptions around that kind of treatment --

18 MS. DEMARCO: So we'll get to the cost allocation
19 portion later, but just, can we get the undertaking on the
20 record that you'll undertake to provide these charts with
21 the associated carbon abatement savings or reasonable
22 estimate thereof, whether it be the Ontario allowance --

23 MR. MCGILL: I will attempt to reflect that. I'm just
24 not sure -- we can add it as a separate line item to the
25 table.

26 MR. MURRAY: That will be Undertaking JT1.6.

27 **UNDERTAKING NO. JT1.6: TO PROVIDE THE CHARTS WITH THE**
28 **ASSOCIATED CARBON ABATEMENT SAVINGS OR REASONABLE**

1 **ESTIMATE THEREOF.**

2 MR. YAUCH: Can I ask a question about the undertaking
3 before you move on, sorry, Lisa? Each reduction -- tonne
4 of reduction of carbon as a result of renewable natural
5 gas, according to your other proceeding, is significantly
6 higher than the cost of just a carbon credit, correct? It
7 was in the hundreds of dollars per each tonne reduced?

8 MR. MCGILL: You are referring to the cap-and-trade
9 compliance plan proceeding?

10 MR. YAUCH: Yeah. Yes, so if you do this undertaking,
11 do you factor that in that each unit of gas, renewable
12 natural gas, is actually a really expensive way to reduce
13 carbon?

14 MR. MCGILL: Well, based on the way our reporting
15 requirements work, I don't think there is a cost to the
16 utility of injecting RNG into the system.

17 MR. YAUCH: Assuming you get the full subsidy from the
18 government to make up the difference, right?

19 MR. MCGILL: No, but because it is a one-for-one
20 reduction in the number of allowances we have to buy, so
21 there is a benefit to the ratepayer as a result of that
22 with basically no cost to the utility. So it's --

23 MR. RUBENSTEIN: Can I clarify something and --
24 working on the assumption that you do not procure RNG in
25 your gas supply through a contract --

26 MR. MCGILL: Yes.

27 MR. RUBENSTEIN: -- but someone else somewhere else
28 does.

1 MR. MCGILL: Yes.

2 MR. RUBENSTEIN: But the cap-and-trade program still
3 exists -- let's work under the current framework. Do I
4 understand that just because -- there's a contract and
5 someone -- the fact that it's still just being injected
6 into your system, you gain essentially the gas supply.

7 MR. MCGILL: Our customers derive the benefit.

8 MR. RUBENSTEIN: But at the same time, the
9 environmental attributes remain with the producer to then
10 sell through an offset, or some other mechanism?

11 MR. MCGILL: That's correct.

12 MR. MONDROW: And is that benefit only if the gas is
13 consumed in Ontario?

14 MR. MCGILL: That's not my understanding.

15 MR. MONDROW: So if the gas goes into your system and
16 ends up in California, you still have a reduced allowance?

17 MR. MCGILL: That's my understanding as to the way the
18 GHG reporting requirements work, and the way our allowance
19 purchase requirements work because they are based on the
20 GHG reporting.

21 MS. DeMARCO: So can we just walk through this again,
22 because I think the clarification of what you're calling
23 environmental attributes helps get through some of these
24 challenges.

25 We have the direct emission reduction from the biogas
26 producer. They are not emitting that methane which has a
27 global warming potential of 25 times that of CO₂. Is that
28 the source?

1 MR. MCGILL: Twenty-two times, but...

2 MS. DeMARCO: I believe it's 25 times, subject to
3 check, with the most recent IPCC reports; is that fair?

4 MR. MCGILL: It's on that order of magnitude, yes, in
5 terms of methane destruction.

6 MS. DeMARCO: And then the second source of emissions
7 reductions is the displacement, or what you are calling
8 substitution environmental attributes. That is you don't
9 have regular -- I had to go dig in the ground to get it
10 natural gas produced by some natural gas producer in
11 Alberta coming onto your system. You have captured
12 renewable natural gas coming onto your system and that is
13 the displacement emissions reduction or -- substitution
14 emission reduction, in your terminology.

15 MR. MCGILL: Yes.

16 MS. DeMARCO: And then there is a third type of
17 environmental value, which we are lumping into that
18 category of an environmental attribute. And that's not
19 based on the quantified GHG reductions, but more based on
20 programs that exist for low carbon fuels. Is that right?

21 MR. MCGILL: Those programs give rise to instruments
22 in the form of offsets, or RINs in the United States, that
23 have...

24 MS. DeMARCO: I want to be really clear on this point.
25 A RIN is not an offset, correct?

26 MR. MCGILL: Correct.

27 MS. DeMARCO: A RIN is a regulatory program benefit
28 that is a function of a government allocation for renewable

1 natural gas; fair?

2 MR. MCGILL: Yes. I guess what I'm trying to say is
3 it results in an instrument that can be traded in the
4 market for some value. But it's not the same as an offset.

5 MS. DEMARCO: A RIN doesn't have a GHG quantification
6 associated with it. It is an instrument allocated per unit
7 of gas injection, fair?

8 MR. MCGILL: Yes.

9 MS. DEMARCO: So all of those things you are calling
10 environmental attributes here?

11 MR. MCGILL: Yes.

12 MS. DEMARCO: Okay. So what we're talking about is
13 not per se double counting of GHG reductions. It's
14 qualifying for whatever program value you can?

15 MR. MCGILL: Yes.

16 MS. DEMARCO: Okay. So we have that undertaking from
17 you to go through and delineate the GHG emission reductions
18 and the associated values, and the programs, and the
19 quantification of each?

20 MR. MCGILL: Yes.

21 MS. DEMARCO: Thank you. You have at page 13, B1.1,
22 table 1, a general quantification of customer and system
23 GHG abatement from RNG.

24 MR. MCGILL: Yes, we have the table.

25 MS. DEMARCO: So just -- now that we've got the
26 clarification of the forms of environmental attributes,
27 what do these quantification figures reflect? Direct,
28 substitution, or RIN?

1 MR. MCGILL: Give us a moment.

2 MR. MONDROW: Lisa, are you talking about this table
3 that's on the screen that has cubic metres?

4 MS. DeMARCO: Yes.

5 MR. MCGILL: So the exhibit you're referring to, or
6 the table in the exhibit that you are referring to only
7 sets out potential volumes of RNG. It does not quantify
8 the associated GHG benefits.

9 MS. DeMARCO: So this table is translatable only to
10 the direct emissions and potential emission reductions from
11 the biogas producer?

12 MR. MCGILL: Well, I think -- yes, in terms of a
13 substitution value, that is correct. But the volumes
14 themselves would give rise to whatever additional carbon
15 reduction value is associated with the gas.

16 MS. DeMARCO: So this doesn't reflect your
17 substitution value; this reflects what's going on at the
18 level of the biogas producer?

19 MR. MCGILL: Well, all this table is doing is setting
20 out what the potential RNG volumes are from different
21 sources of biogas feed stock.

22 MS. DeMARCO: Let's translate that into potential
23 greenhouse gas reductions. If this is Canada's potential
24 biogas production...

25 MR. MCGILL: This is Ontario.

26 MS. DeMARCO: There's both, right? Canada and
27 Ontario.

28 MR. MCGILL: Yes.

1 MS. DeMARCO: The potential greenhouse gas reduction
2 directly from those biogas producers is what, if you
3 translated those numbers into greenhouse gas reductions?

4 MR. McGILL: I'm not sure if we have that in evidence
5 or not.

6 MS. DeMARCO: I don't think you do. Would you
7 undertake to provide it?

8 MR. McGILL: Yes, we can.

9 MS. DeMARCO: So that's the direct emission
10 reductions. Let's go to the substitution.

11 MR. MURRAY: Before we go on, perhaps I can just take
12 the undertaking, JT1.7.

13 MR. McGILL: Just to be clear, in terms of trying to
14 associate GHG reduction values with these volumes of RNG,
15 we are going to need to make some assumptions just around
16 how much methane is being destroyed from each of those
17 different feed stocks.

18 So in the case of landfill gas, if the methane is
19 already being flared, the GHG reduction value is less, et
20 cetera. So we will need to --

21 MS. DeMARCO: If you could just put your assumptions
22 in the calculation, that would be great, regarding the
23 methane -- additional methane destroyed, number one.

24 Number two, the global warming potential you are
25 using.

26 MR. McGILL: Yes.

27 MS. DeMARCO: And if you need to use a range...

28 MR. McGILL: Yes, okay.

1 MS. DeMARCO: So we are just going to modify the
2 undertaking to reflect that, if we can.

3 So getting back to the initial point, this is the
4 direct emission reductions, the substitution value. Could
5 you undertake to quantify the emission reductions, or the
6 decreased emission reporting associated with the potential
7 substitution value, if you captured this?

8 MR. McGILL: Yes, we can do that.

9 MS. DeMARCO: And third, could you attempt to quantify
10 the potential RIN or other environmental attributes
11 associated with what you are allowing to be injected?

12 MR. McGILL: In terms of tonnes of carbon, or...

13 MS. DeMARCO: In terms of RINs or other environmental
14 instruments that have value.

15 MS. GIRIDHAR: I assume a treated value?

16 MR. McGILL: We can undertake to attempt to do that,
17 yes.

18 MS. DeMARCO: Thank you. I appreciate that it's a
19 difficult task, but I think it is viable valuable to
20 everybody understanding what's going on here, and the Board
21 understanding the real value of this program.

22 MR. MURRAY: I think it makes sense to put all three
23 of those matters under the same undertaking, JT1.1.

24 **UNDERTAKING NO. JT1.7: (1) TO PROVIDE THE POTENTIAL**
25 **GREENHOUSE GAS REDUCTIONS DIRECTLY FROM BIOGAS**
26 **PRODUCERS; (2) TO QUANTIFY THE EMISSION REDUCTIONS, OR**
27 **THE DECREASED EMISSION REPORTING ASSOCIATED WITH THE**
28 **POTENTIAL SUBSTITUTION VALUE, IF YOU CAPTURED THIS;**

1 (3) TO ATTEMPT TO QUANTIFY THE POTENTIAL RIN OR OTHER
2 ENVIRONMENTAL ATTRIBUTES ASSOCIATED WITH WHAT YOU ARE
3 ALLOWING TO BE INJECTED, IN TERMS OF RINS OR OTHER
4 ENVIRONMENTAL INSTRUMENTS THAT HAVE VALUE.

5 MS. DeMARCO: I was just going to ask -- I was going
6 to ask about -- you've undertaken already to provide the
7 regulatory decisions and description of all other RNG
8 programs in Canada.

9 Secondly, my question is: In relation to the
10 separation of the two aspects of the RNG service, as I
11 understand it -- correct me if I'm wrong -- the upgrading
12 service effectively you deemed as a competitive service,
13 i.e. you're not obliged to go to Enbridge to upgrade, is
14 that right?

15 MR. McGILL: We are offering upgrading as an optional
16 service. As I think I indicated earlier, I don't believe
17 that there's anyone offering something comparable to what
18 we're proposing at this point in time.

19 There's equipment providers and contractors that
20 install the equipment, but I don't know of anyone that's
21 considering offering it is sort of a package service, as we
22 are proposing to do.

23 MS. DeMARCO: But theoretically, someone else could
24 upgrade and just take the injection service?

25 MR. McGILL: Yes.

26 MS. DeMARCO: And how theoretical is that? Is that a
27 practical reality?

28 MR. McGILL: Oh, it's a practical reality, yes.

1 MS. DeMARCO: It is; okay, great.

2 And then the second part of the service, the injection
3 service, is effectively a monopoly service; you are not
4 providing others access to the pipeline to --

5 MR. McGILL: Well, our position is that it's our
6 responsibility to inject natural gas RNG, perhaps hydrogen
7 in the future, into our system, and that that's part of our
8 role in ensuring the reliability, integrity, and safety of
9 the system, so that we see that as a pure utility function.

10 MS. DeMARCO: I understand that's your position in
11 terms of that being a pure utility function. Can you
12 provide any analysis that you've undertaken to determine
13 what is effectively competitive service for the upgrading
14 and what is a monopoly service for the injection?

15 MR. McGILL: In terms of the upgrading or the
16 injection?

17 MS. DeMARCO: So as I understand it you determine the
18 upgrading is a competitive service, the injection is not,
19 it's a monopoly service, and --

20 MR. McGILL: Okay, so the point I'm trying to make is
21 that as far as we know there is no one offering the same
22 kind of upgrading service that we are, so to characterize
23 it as competitive, I guess potentially it could be. The
24 way I'm characterizing it is it's an optional service, so
25 if someone wants to do the upgrading themselves, as long as
26 they can upgrade the gas to meet the pipeline standard that
27 we have set, then we will inject that gas into our system
28 for them. But I, you know, hesitate to characterize it as

1 a competitive service right now because, as far as I know,
2 there is no competitors.

3 MS. DeMARCO: I'm happy to soften my language. A non-
4 obligatory service; fair to say?

5 MR. McGILL: Yes.

6 MS. DeMARCO: Would you undertake to provide your
7 analysis that went into determining that the upgrading
8 service was a non-obligatory service but the injection is
9 mandatory?

10 MR. McGILL: Yes, we can do that.

11 MS. DeMARCO: Thank you.

12 MR. MURRAY: That will be Undertaking JT1.8.

13 **UNDERTAKING NO. JT1.8: TO PROVIDE THE ANALYSIS THAT**
14 **WENT INTO DETERMINING THAT THE UPGRADING SERVICE WAS A**
15 **NON-OBLIGATORY SERVICE BUT THE INJECTION IS MANDATORY.**

16 MS. DeMARCO: We've gotten through the financial
17 analysis piece. There are a few elements that I'd like to
18 talk to you about in relation to other drivers to
19 facilitate RNG, and can I ask you to comment -- with the
20 business case -- or are you feeling any pressures to
21 continue with the business case for RNG from, for example,
22 the task force for carbon-related financial disclosures?

23 MR. McGILL: Not that I'm aware of, no.

24 MS. DeMARCO: Would you agree that the TCFD is calling
25 for enhanced carbon-related disclosure, so for all public
26 reporting issuers?

27 MR. McGILL: I'm sorry, I don't think we can answer
28 these questions. We just don't have knowledge of what that

1 task force is doing.

2 MS. DeMARCO: Let me ask: Have you ever had a
3 shareholder resolution relating to your greenhouse gas
4 position?

5 MR. McGILL: I don't know.

6 MS. DeMARCO: Would you undertake to determine that?

7 MR. McGILL: Yes, we can undertake to look for that.

8 MS. DeMARCO: Thank you.

9 MR. MURRAY: That will be Undertaking JT1.9.

10 **UNDERTAKING NO. JT1.9: TO ADVISE WHETHER ENBRIDGE**
11 **HAVE EVER HAD A SHAREHOLDER RESOLUTION RELATING TO ITS**
12 **GREENHOUSE GAS POSITION.**

13 MS. DeMARCO: Can I ask you also, looking at the
14 potential corporate-wide emission reductions that we just
15 arrived at from two undertakings ago, can you put that in
16 the context of your corporate-wide emissions, how
17 significant it is to the corporate-wide greenhouse gas
18 emissions?

19 MR. McGILL: Yes, I think we can undertake again to
20 attempt to do that, yes.

21 MS. DeMARCO: Thank you. And if we can mark that?

22 MR. MURRAY: That will be Undertaking JT1.10.

23 **UNDERTAKING NO. JT1.10: RE: THE POTENTIAL CORPORATE-**
24 **WIDE EMISSION REDUCTIONS FROM UNDERTAKING JT1.9, TO**
25 **PUT THAT IN THE CONTEXT OF THEIR CORPORATE-WIDE**
26 **EMISSIONS; HOW SIGNIFICANT IT IS TO THE CORPORATE-WIDE**
27 **GREENHOUSE GAS EMISSIONS.**

28 MS. DeMARCO: I am very cognizant that I am well over

1 my time and my last series of questions are very specific
2 to Indigenous populations and specifically what you propose
3 to do.

4 As I understand it, starting at B1-1, paragraph 32 at
5 page 11, 37 facilities estimated by 2025 on farms,
6 wastewater treatment plants, food processing plants, and
7 landfills; do I have that right?

8 MR. MCGILL: Yes.

9 MS. DeMARCO: Do you have a map of the proposed
10 locations?

11 MR. MCGILL: We can undertake to determine if we have
12 a map of those potential locations. Off the top of my head
13 I don't know if we do or not.

14 MS. DeMARCO: Okay, and it would be fabulous if you
15 could provide a map if you've got it of those proposed
16 locations.

17 MR. MURRAY: That will be Undertaking JT1.11.

18 **UNDERTAKING NO. JT1.11: TO PROVIDE A MAP OF THE**
19 **PROPOSED LOCATIONS REFERRED TO AT EXHIBIT B1.1, PAGE**
20 **11, PARAGRAPH 32; TO PROVIDE A SECOND MAP OVERLAYING**
21 **THE FIRST NATIONS AND INDIGENOUS COMMUNITIES IN THOSE**
22 **SAME AREAS, FOR THE UPGRADING SERVICES AND THE**
23 **INJECTION SITES.**

24 MS. DeMARCO: And so just so that I'm clear on that,
25 it is for both parts of the service for the upgrading
26 services and for the injection sites.

27 MR. MCGILL: Well, yes, I guess the potential exists
28 for either both services or just the injection services at

1 any of those locations, yes.

2 MS. DeMARCO: So whatever you've got in terms of map
3 would be very helpful.

4 MR. McGILL: Yes, we will check to see what we've got
5 and provide what we have.

6 MS. DeMARCO: And I wonder if you could provide a
7 second map overlaying the First Nations and indigenous
8 communities in those same areas?

9 MR. McGILL: We can undertake to, again, attempt to do
10 that.

11 MS. DeMARCO: So let's mark that as an undertaking.

12 MR. MURRAY: Why don't we include that as the same
13 undertaking, JT1.11.

14 MS. DeMARCO: Thank you. I'm assuming, but I'm not
15 sure if I'm correct in this assumption, that the injection
16 services will be in and around the existing Enbridge
17 pipeline and the easements that it's located on?

18 MR. McGILL: Well, the closer the RNG production
19 facility is to our existing gas distribution system, the
20 less costly the project will be, so -- and so distance from
21 the existing facility has an impact on feasibility of these
22 projects.

23 MS. DeMARCO: So just so that I'm clear on that point,
24 injection isn't directly into your pipeline? You might
25 have to build a little something to inject into?

26 MR. McGILL: Yes. So if the RNG production site was,
27 let's say 20 kilometres away from our existing system, we'd
28 have to build a 20-kilometre pipeline to connect the

1 injection facility to the gas distribution facility. So
2 the cost of that pipeline would be attributable to the
3 project and be part of the cost consideration that's
4 included in the feasibility testing of the project, and
5 what you would find is the way we would set the rates for
6 that, because that pipeline connection would be included as
7 part of the injection facility cost. It's just that the
8 monthly fee would be that much higher. So let's say
9 compared to a facility that was only one kilometre away
10 from the existing system. It's like community expansion,
11 but reversed.

12 MS. DeMARCO: So will there be related LTC
13 applications or are they all exempt?

14 MR. McGILL: I believe that most of these will
15 probably result in LTC applications.

16 MS. DeMARCO: Do you have an estimate of how many LTC
17 applications we're looking at?

18 MR. McGILL: No.

19 MS. DeMARCO: So I was wrong in that assumption, so I
20 guess we've got the map of approximately where they are.

21 MR. McGILL: Yes.

22 MS. DeMARCO: So that will be very helpful.

23 I have a couple of follow-up questions from the
24 discussions to date, if you would just bear with me a
25 second.

26 Ms. Giridhar, you spoke to on or before August 31st,
27 2018 updating the GES evidence. I wonder if you could
28 undertake to, as applicable, update the RNG evidence as

1 well?

2 MR. MCGILL: Well, to the extent we believe we need to
3 update the RNG evidence we will. What we said in the
4 letter is we would report back to the Board with respect to
5 the geothermal energy service evidence by August 31st. I
6 don't know if that would include updated evidence by that
7 time, but we would provide an update as to how we had
8 progressed to that point in time, which may or may not
9 include revised evidence.

10 MS. DeMARCO: That's in relation to the GES, as I
11 understand it.

12 MR. MCGILL: Yes.

13 MS. DeMARCO: I'm asking specifically should -- and
14 I'm happy to take it that no updates are required -- but
15 should updates be required to the RNG portion would you
16 undertake to update the RNG evidence as well?

17 MR. MCGILL: Yes, if we need to, we will.

18 MS. DeMARCO: Can we get an undertaking on that?

19 MR. STEVENS: I'm not sure that's actually -- I'm not
20 sure, Lisa, that's something we would actually answer as an
21 undertaking. I think the answer that the panel has given
22 is, should Enbridge determine it needs to update its
23 application, it will do so.

24 I think everybody can take Enbridge's answer to be
25 that, if there's no update, that Enbridge has determined
26 that it's not necessary, but I don't think this is
27 something that we would answer along with the bundle of
28 undertakings that are otherwise being provided today.

1 MS. DeMARCO: I'm not going to stand on form over
2 function. I'm happy to leave it as such.

3 My last series of questions relate to the nature of
4 the charge. It's, as I understand it, a flat fee.

5 MR. McGILL: Yes.

6 MS. DeMARCO: For both services.

7 MR. McGILL: Yes.

8 MS. DeMARCO: It is not a volumetric charge.

9 MR. McGILL: That's correct.

10 MS. DeMARCO: And so theoretically, if they're hoping
11 to inject a hundred metres cubed of RNG, they would pay the
12 same flat fee?

13 MR. McGILL: That's right.

14 MS. DeMARCO: So pragmatically, what's the threshold
15 size of RNG producer that you think will take the service?

16 MR. McGILL: Again, I think that depends on the nature
17 of the feed stock, the location of the facility in relation
18 to our existing facilities, you know, costs that are
19 specific to the construction of the facility itself
20 depending on the nature of the site, the ground conditions.
21 It's going to vary from one instance to another.

22 MS. DeMARCO: So as I understand it, you've got about
23 a \$60,000 flat fee for the injection service, and 107,000
24 for the upgrade service.

25 MR. McGILL: In this example.

26 MS. DeMARCO: Okay. And you have four types of
27 biogas-producing entities, is that right?

28 MR. McGILL: Well, at a high level, four sources of

1 biogas as a feed stock.

2 MS. DeMARCO: Can I ask you to undertake to estimate a
3 threshold for each of those four types of feed stock
4 sources that would take, or be able to pay 60,000 or
5 107,000?

6 MR. McGILL: So the monthly fees, the 60 or the
7 107,000 in the example we have, is driven by the cost of
8 the specific facility.

9 So if we had another example with a facility that was
10 half the size, half the cost, it wouldn't exactly be one-
11 to-one, but I would expect the fees to be about 50 percent.

12 So the fee is scalable based on the capital -- largely
13 the capital cost of the facility. I don't think the
14 operating cost would change much from one facility to the
15 next.

16 MS. DeMARCO: Do you have a minimum level of fee that
17 you are willing to charge?

18 MR. McGILL: No.

19 MS. DeMARCO: So theoretically, your fees could be as
20 low as \$100 for injection.

21 MR. McGILL: Theoretically, yes. Whether that would
22 be practical or not is a...

23 MS. DeMARCO: That's what I'm trying to get at here,
24 what's the practical reality of the scope and scale of
25 these services that you're providing.

26 Perhaps you could undertake to provide some semblance
27 of an understanding of what the bookends of the scope and
28 scale of the services will be?

1 MR. MCGILL: We could take a look at that. But again,
2 it's going to depend both on our side of the equation and
3 the biogas producer side of the equation, So, you know,
4 what we would do is we would investigate a potential
5 producer site. We would determine the cost of the
6 facilities and the cost of connecting the facilities to our
7 existing system.

8 We would work out what the monthly rates would be for
9 each of the upgrading and the injection service. We would
10 go back to them, and then it would really be that biogas
11 producer's decision as to whether or not their project was
12 feasible based on those costs.

13 So it's really hard for us to try and pin down what
14 sort of the minimum practical size would be, because it
15 would largely be dependent on assumptions that the biogas
16 producer is making around what the value of their end
17 product is going to be, and we don't know that.

18 MS. DeMARCO: I'm happy and very much appreciate the
19 precision challenges that you might have in doing this, and
20 the assumptions that you might bring to bear.

21 But some semblance -- if you could undertake to
22 provide some semblance of the scope where you, who are
23 grounded in the practical realities of what gas customers,
24 including biogas customers would accept, can give us a
25 sense of what the bookends of this program are.

26 MS. GIRIDHAR: I think it's really hard to come up
27 with the bookends, because we don't know what the value of
28 that end product is for the customer.

1 So I think this would be almost impossible for us to
2 determine what those bookends would be.

3 MS. DeMARCO: Perhaps if we go with an estimate of the
4 federal tax value at \$50 a tonne? Would that help as an
5 assumption?

6 [Witness panel confers]

7 MS. GIRIDHAR: So trying to be responsive to this
8 request, what we could do is to ask the sort of the
9 engineering experts in our company what is the smallest
10 size injection station that we could put in and, you know,
11 what might that cost, and then assume that the RNG producer
12 is right there and, you know, we he have just the minimum
13 amount of pipe and so on, and I think that could end up
14 becoming sort of one end of the bookmark. But it would be
15 very hard to do anything about beyond that.

16 MS. DeMARCO: I think that is very helpful and at
17 least indicative directionally. So could we have an
18 undertaking in relation to that?

19 MR. MURRAY: That would be undertaking JT1.12.

20 **UNDERTAKING NO. JT1.12: TO ASK ENGINEERING EXPERTS**
21 **ABOUT THE SMALLEST SIZE INJECTION STATION THEY COULD**
22 **PUT IN, AND ESTIMATE A COST, ASSUMING THE RNG PRODUCER**
23 **IS RIGHT THERE AND ASSUMING A MINIMUM AMOUNT OF PIPE**

24 MS. DeMARCO: Those are my questions, with apologies
25 for the overtime.

26 MR. BUONAGURO: Could I just ask a clarifying question
27 on that last undertaking?

28 Would that include an analysis of what kind of flow

1 that allows? I'm assuming you may have already been
2 thinking about doing that.

3 MS. GIRIDHAR: Yes, there would be an implicit
4 assumption for the smallest station, in terms of what the
5 flow of gas might be.

6 MR. QUINN: If I may just follow that up, though, one
7 of the assumptions said the customer is right there. Is
8 the cost of the pipeline, to the extent there is a
9 pipeline, is that going to be recovered in the mandatory
10 service, the injection service?

11 So again, the scope of what Lisa was talking about, if
12 somebody is 20 kilometres away, obviously it's a lot bigger
13 cost, and they have to do their own economics of whether
14 that made business sense to them.

15 MS. GIRIDHAR: Correct. You know, there's another
16 factor, which is are we able to accept RNG in at that
17 location, because our ability to accept RNG at a location
18 as a function of what the rest of the demand is on that
19 location.

20 So that's why it becomes such a complicated thing to,
21 to do any kind of high-level analysis on it.

22 MR. QUINN: Okay, thank you.

23 MS. GIRIDHAR: We would have to be very specific about
24 what that bookend is.

25 MR. MURRAY: I think now is a good time for the
26 morning break, and we'll come back for 11:45.

27 MS. DeMARCO: Just before we do that, I want to make
28 sure that we got that undertaking marked and we're good.

1 MR. MURRAY: I believe it was JT1.12.

2 MS. DeMARCO: Okay, good, thanks.

3 --- Recess taken at 11:33 a.m.

4 --- On resuming at 11:57 a.m.

5 MR. MURRAY: Next on the list of questioners is Mr.
6 Vellone for APPrO.

7 **EXAMINATION BY MR. VELLONE:**

8 MR. VELLONE: Thank you very much. Good morning,
9 panel. I'd like to start with a follow-up on Staff's
10 Technical Conference Question number 1. Maybe we could
11 throw that up on the screen.

12 So you will remember from this morning OEB Staff asked
13 why Enbridge is doing its upgrading service in the --
14 proposing to do it in the regulated utility as opposed to
15 an unregulated affiliate; do you recall that conversation?

16 MR. MCGILL: Yes, I do.

17 MR. VELLONE: And I just want to make sure I got your
18 answer correct, make sure I understood it correct, so I'm
19 going to repeat it back to you and see if I got it down.

20 My understanding is that an advantage of doing it in
21 the regulated business is that it would benefit from a
22 lower cost of capital than doing it in one of your
23 unregulated affiliates. Is that a fair understanding of
24 what you said?

25 MR. MCGILL: Yes, what I said was that in other parts
26 of our business a project like these -- or projects like
27 these would have to compete for capital against other
28 projects or business opportunities, and that would be

1 likely to result in a higher cost of capital.

2 MR. VELLONE: Okay, and my understanding -- another
3 reason why you're saying this should be done in the
4 regulated business is because Enbridge can take -- is in a
5 position where it can take advantage of certain tax
6 benefits associated with these facilities, such as
7 accelerated CCA and things like that; is that correct?

8 MR. MCGILL: Yes, that's correct.

9 MR. VELLONE: Did I miss anything else? Were those
10 the primary reasons why you are suggesting to do it in the
11 regulated utility?

12 MR. MCGILL: Well, I think some of the other reasons
13 are articulated in our response to Energy Probe question
14 number 2, and I think beyond that the upgrading service
15 fits within the definition of a gas distribution service
16 under the Ontario Energy Board Act.

17 MR. VELLONE: Why don't we pull Energy Probe number 2
18 up just so I can see what you are referring to here.

19 Okay. And so this is referencing, effectively, the
20 argument that it does fit in the scope of the Ontario
21 Energy Board Act; is that my fair understanding?

22 MR. MCGILL: Yes.

23 MR. VELLONE: Okay. Are there any other reasons that
24 you'd want to put on the record just while we are trying to
25 create an exhaustive list here?

26 [Witness panel confers]

27 MR. MCGILL: No, I don't have anything to add at this
28 point in time.

1 MR. VELLONE: Okay, let's park the legal argument for
2 a minute, the stuff in Energy Probe number 2, and deal with
3 the more business-oriented arguments, the lower cost of
4 capital, the ability to take advantage of tax advantages.

5 MR. MCGILL: Yes.

6 MR. VELLONE: Is there anything unique to RNG
7 upgrading that makes it compelling for the regulated
8 business to do those activities with just those two
9 reasons? Or would those same two reasons be a reason for
10 you to get into other ventures, geothermal, natural gas
11 generation for electricity, other competitive ventures? Is
12 there anything unique to RNG?

13 MR. MCGILL: I think the aspect of RNG that is or was
14 unique in that was that it would bring an overall benefit
15 to our ratepayers through a reduction in our carbon
16 allowance purchase requirements, so I think that would be
17 different than some of those other examples that you've
18 referenced.

19 MR. VELLONE: But would you get those benefits if you
20 undertook the same activity in an unregulated affiliate, I
21 guess is the question. I'm trying to contrast where it's
22 done.

23 MS. GIRIDHAR: You know, I think with respect to your
24 broader question -- that is, what is unique to RNG versus
25 other activities -- I just do want to call out the market
26 transformation capability that we have within regulation,
27 so intrinsically what regulation allows us to do is to
28 spread costs out over a longer duration of time. It allows

1 us to use the utility's ability to deploy solutions cost-
2 effectively, build scale, and, you know, these reasons, I
3 think, can be applied to a number of clean technology
4 solutions, and just a reminder, you know, Ontario largely
5 moved to high-efficiency furnaces from mid-efficiency
6 furnaces because of the utilities' participation in that
7 space through its DSM programming, and we've had other
8 examples in the past, so I think the market transformation
9 capability arises from utility regulation, and that's what
10 we'd like to leverage in this case.

11 MR. VELLONE: Okay. I'm going to try to follow along
12 with that. So when you are saying market transformation
13 you're really talking about -- is it a chicken-and-egg
14 problem here? RNG is not necessarily economic to upgrade
15 on its own, but if the utility invests in these upgrade
16 facilities you can help bring it along? Is that what you
17 are saying market transformation is?

18 MS. GIRIDHAR: Yes, so there are several barriers that
19 prevent solutions from becoming commonplace or, you know,
20 deployed. Some of them are cost barriers. Some of them
21 could just be barriers with respect to, you know, how it
22 gets done. I mean, as an example, you know, the
23 application of codes and standards and having the right
24 framework within which to deploy solutions, I mean, I think
25 we have an ability to do all of that within regulation.

26 MR. VELLONE: Would RNG upgrading services be economic
27 in the absence of a regulated service offering at this
28 time, if you were to do it in your competitive affiliate,

1 for example?

2 MS. GIRIDHAR: I think it depends. To the extent that
3 we are able to offer a service, a levelized service, at a
4 lower cost of capital, we are obviously reducing the cost
5 of upgrading service relative to doing it in an affiliate.

6 Now, obviously if price was no barrier for the RNG
7 producer they could pay higher rates and then be able to
8 still produce RNG, but we know that that's not the case
9 because there isn't any RNG produced in Ontario right now,
10 so I think we would believe that it does lead to more
11 participation in the space as a result of it being a
12 regulated service, and that's why we call it an RNG
13 enabling service.

14 MR. VELLONE: Just to clarify that point, my
15 understanding -- and this is in reference to CBA
16 Interrogatory No. 2 -- is that there is a facility in
17 Ontario that is producing RNG that is of high enough
18 quality that you could inject it into your system if you
19 had the injection facilities available.

20 MR. MCGILL: There is one facility that is owned by
21 the City of Hamilton that injects quantities of pipeline-
22 quality RNG into the Union Gas gas distribution system.

23 MR. VELLONE: I see. So in the evidence where you're
24 talking throughout that there is no ability to inject RNG
25 into the natural gas system, you are really specific to
26 your natural gas system, the Enbridge pipeline system?

27 MR. MCGILL: Well, I think as far as we are aware,
28 that one site in Hamilton has the only operational facility

1 in Ontario at this point in time. It has a fairly limited
2 capacity. So in terms of magnitude, there is effectively
3 no real RNG production in Ontario at this time, so I think
4 we kind of generalize on that point. There is some
5 capability, but it is very, very limited.

6 MR. VELLONE: So there is RNG injection equipment in
7 Hamilton, owned, I guess, by Union Gas, or is it owned by
8 the city --

9 MR. MCGILL: No, the injection facility is -- part of
10 the facility is owned by Union Gas, yes.

11 MR. VELLONE: Okay. Can we pull up APPrO
12 Interrogatory No. 2, please? Maybe start with the question
13 before you jump to the answer. It's a long question.
14 Part B.

15 MR. MCGILL: Yes, I see the question.

16 MR. VELLONE: The part of the question that I want to
17 ask a follow-up on is really the second part of that full
18 paragraph.

19 It was -- it was asking Enbridge to help the Board
20 understand what your best estimates were with regards to
21 the development of a potentially competitive market in RNG
22 upgrading -- let's limit it to that -- if they chose to
23 allow the regulated service versus if they didn't.

24 Do you see that second part of the question there?

25 MR. MCGILL: Yes.

26 MR. VELLONE: Flip to part (b). I think you struggled
27 with how to answer that, based on the way the first part of
28 the question read.

1 Is that a fair understanding of your answer? You
2 couldn't predict the future?

3 MR. MCGILL: Well, I think it's very difficult to
4 predict the future. I think we believe that the proposal
5 that we have in front of the Board right now will help the
6 RNG market and production facilities -- the development of
7 production facilities in Ontario move forward faster than
8 they would otherwise.

9 But in terms of what offerings others might provide,
10 we don't have any knowledge of that at this point in time.

11 MR. VELLONE: Sure. The way this question was framed
12 was specific to the Ontario jurisdiction. I'm wondering if
13 you can take a crack, perhaps by way of undertaking, of
14 answering a similar question, but specific to B.C. and
15 Quebec with regards to how the RNG market evolved in those
16 two different jurisdictions.

17 And the intent really here is to get on to the record
18 some competing models, some competing regulatory models for
19 the Board to consider.

20 MR. MCGILL: Okay. I think we have an undertaking
21 that we took earlier this morning, or earlier today, that
22 basically would fulfill that request. So I'm not sure we
23 need to take another one.

24 MR. VELLONE: I am happy if you are intending to
25 answer roughly the gist of APPrO 2B in answering that other
26 undertaking. I'm happy to have that added to that
27 undertaking.

28 MR. MCGILL: Okay.

1 MR. MONDROW: Just to be clear, the undertaking, as I
2 recall it, Mr. McGill, was to provide the regulatory
3 precedents from the other jurisdictions.

4 MR. MCGILL: That's right.

5 MR. MONDROW: And like Mr. Vellone, if what you are
6 saying is you will he expand that response to provide an
7 analysis of the two markets and you want to do it under
8 that number, that's fine. But it's a different question.

9 MR. MCGILL: Yes, we can do that.

10 MR. VELLONE: Thank you.

11 MR. MURRAY: I think we'll just -- maybe actually for
12 simplicity, it might be easier just to give it a new
13 number, and we'll do JT1.13.

14 **UNDERTAKING NO. JT1.13: TO PROVIDE THE REGULATORY**
15 **PRECEDENTS FROM THE OTHER JURISDICTIONS; TO PROVIDE AN**
16 **ANALYSIS OF THE TWO MARKETS**

17 MR. VELLONE: Thank you. While we're on APPrO number
18 2, your answer to part A is pretty clear in regards to what
19 you've been calling your optional service. Is that what
20 you've been referring to the RNG upgrading facilities as,
21 an optional service?

22 MR. MCGILL: Yes.

23 MR. VEGH: Versus RNG injection, which you're calling
24 -- is it a mandatory service, a must have, a must do?

25 MR. MCGILL: Yes.

26 MR. VELLONE: Can we talk a little bit about the must-
27 do portion, the injection facility? And this is really a
28 follow-up to Ms. DeMarco's question. I'm trying to

1 understand the scope of what the must do facilities will be
2 and perhaps -- I'm an engineer by training, I'm going to go
3 to the equipment.

4 Can you pull up figure number 1 in your application
5 which shows, I think, a process diagram of what an
6 injection facility might look like?

7 MR. MCGILL: Yes, we have that.

8 MR. VELLONE: Okay. So my understanding is that an
9 injection facility would include things --

10 MR. MONDROW: Just to put it on the screen -- sorry to
11 interrupt. It's Exhibit B, tab 1, schedule 1, page 15.

12 MR. VELLONE: Referring to this diagram, figure 1
13 entitled "RNG production process and Enbridge service
14 offerings", everything inside of the orange box entitled
15 "injection systems", is that what you mean by the RNG
16 facilities that must be part of the regulated utility?

17 MR. CHAGANI: It is everything inside the injection
18 system box, and the pipeline.

19 MR. VELLONE: And when you say the pipeline, you are
20 referring to the pipeline that I see that's connecting the
21 injection system directly to the existing Enbridge natural
22 gas distribution system?

23 MR. CHAGANI: Yes.

24 MR. VELLONE: You're not referring to a downstream
25 pipeline that might connect an upgrade facility to your
26 injection system?

27 MR. CHAGANI: I'm not sure I fully understand the
28 question. So I -- there is going to be a pipeline that

1 will go from the -- like the outlet of, let's say, the
2 odourization tank in this example that would then go to our
3 existing main, okay?

4 Within the injection station, there will be also
5 pipelines that go from the metering to the odouring tank to
6 the compressor, to the regulators and so on and so forth.
7 All of those would be contained within our injection
8 system.

9 MR. VELLONE: Understood.

10 MR. CHAGANI: So it would be any -- so there would be
11 a custody transfer point. Anything downstream of the
12 custody transfer point would be within the injection
13 system.

14 MR. VELLONE: Would you be able to show me on figure 1
15 where the custody transfer would occur?

16 MR. CHAGANI: The arrow from the upgrade to bio-
17 methane to the injection station would have a valve, or a
18 custody transfer point in that...

19 MR. MCGILL: Pathway.

20 MR. CHAGANI: In that pathway. So if there was a
21 physical fence line, it would be on that fence line.

22 MR. VELLONE: And so the question I was asking is: If
23 you go outside the fence line of the injection station,
24 let's say that, and there needed to be a pipeline that
25 connected to the upgrade facility, you would not propose
26 that that downstream pipeline be part of your regulated
27 utility. Is that correct?

28 MR. MCGILL: I would refer to that as an upstream

1 pipeline, so the pipeline connection between the upgrade to
2 the bio-methane box in this figure. So there'd be a
3 pipeline from that facility into the injection facility and
4 at some point on that pipeline, presumably there would be a
5 valve and that would be what I would suggest is the custody
6 transfer point where we would take custody of the upgraded
7 RNG and move it through the injection process.

8 And from the injection facility, then the gas would
9 move into the gas distribution system through another
10 pipeline connection, which would be downstream of the
11 injection facility.

12 MR. QUINN: This may be helpful, Mr. McGill, You've
13 said valve for a second time, and the panel has said valve.

14 Would it not be a meter? If you are doing custody
15 transfer, would you not have a meter that is quantifying
16 the stream of natural gas that went from party A, who is
17 selling to Enbridge?

18 MR. MCGILL: Well, okay, just to be clear, there's no
19 transfer of ownership of the gas throughout this process.

20 So in our proposal, the untreated raw biogas and the
21 final product upgraded to RNG, the title to that gas always
22 stays with the biogas producer. But the...

23 MR. QUINN: So there is no custody transfer per se, in
24 terms of title?

25 MR. MCGILL: When I am talking about custody, I mean
26 physical custody of the gas, not ownership of the gas.

27 MR. QUINN: So it's more like a common carrier type
28 model, where you are metering for the purposes of

1 understanding what goes in and going to be able to
2 understanding what goes in, and are going to be able to
3 redeliver that to what goes out somewhere else?

4 MR. MCGILL: Well, yes. I'm not a hundred percent
5 certain if there would be metering between the bio-methane
6 facility and the injection facility. I don't know that
7 that's always required.

8 It may be required in some instances, but we
9 definitely need to be able to control what comes into the
10 injection facility in the event that the gas coming into it
11 does not meet the pipeline specification.

12 MR. QUINN: Okay.

13 MS. GRICE: So there has to be a way to physically
14 prevent that from happening.

15 MR. QUINN: Or lock it in off, in a worst case
16 scenario, yes, okay. That's a good clarification, because
17 I was presuming a meter, and it doesn't have to be a meter
18 in this case.

19 MR. MCGILL: It may or not be a meter, but it would
20 depend from one installation to the next.

21 MR. QUINN: Thank you very much. Sorry, John.

22 MR. VELLONE: That's okay.

23 MR. MCGILL: Just another thing we'd like to point out
24 is that all of these facilities would be located in
25 typically one place on the customer's premises.

26 So it's not like there would be any significant
27 physical difference or distance between the bio-methane
28 upgrading facility and the injection facility. They would

1 all be on the same site.

2 MR. VELLONE: Why is that the case?

3 MR. MCGILL: I think it's, one, it is less costly;
4 two, there is less concern with respect to moving upgraded
5 RNG in a pipeline facility versus untreated bio-methane
6 that could have high hydrogen sulfide content and other
7 impurities in it.

8 So for a lot of different reasons, the most practical
9 solution is to have all of these facilities contained in a
10 small physical area.

11 MR. VELLONE: So I understand that answer would
12 explain why you co-locate the upgrading facility with the
13 production facility. I guess I don't understand why you
14 have to co-locate the injection system.

15 MR. MCGILL: I think from a physical standpoint it's
16 not required, but I would refer to it as a standard
17 practice. Everything we have seen in terms of the way
18 these facilities are constructed, all of these aspects of
19 the facilities are located in close proximity to each
20 other. Yeah, and...

21 [Witness panel confers]

22 MR. CHAGANI: So if you -- just bringing your
23 attention to the diagram, the first step in actually -- in
24 our injection system is that first we monitor the quality
25 of the gas, and that's why we actually use the word
26 "valve", is because if the quality of the gas doesn't meet,
27 we would shut the valve immediately. So that's the first
28 step.

1 The second step would be metering and regulation to
2 make sure that the pipeline -- the pressures meet the
3 downstream pipeline pressures, and then there is
4 odourization. In order for us to move gas on a public road
5 allowance it would have to be odourized, it would have to
6 be meeting the quality of CSAZ662, which is the pipeline
7 distribution code. That's why we would co-locate the
8 upgrading site, and that would not -- whether or not we own
9 the upgrading site would not be in question, but we could
10 co-locate the injection site right next to the upgrading so
11 that all of these things can happen.

12 In addition to that, if you have a valve where you
13 have to shut in the production of -- sorry, a valve where
14 you have to turn away the bio-methane, you would have to
15 have another pipeline that they would be able to take away
16 that uncleaned gas, so again, there would be synergies to
17 have all of that on to one site.

18 MR. VELLONE: That helps.

19 Going back to the previous answer, my understanding is
20 that your answer was pretty honest. It said, This is how
21 we've seen others do it, and that's why we're proposing to
22 do it this way. Is that right?

23 MR. MCGILL: Yes, that's correct.

24 MR. VELLONE: Which others are you referring to?

25 MR. CHAGANI: So the example with Hamilton is done in
26 that fashion. The examples in B.C. that we've investigated
27 are done in the same fashion.

28 MR. VELLONE: Quebec?

1 MR. CHAGANI: So Quebec is a little bit different,
2 because one of the sites actually injects into TransCanada,
3 so that -- it is not necessarily odourized gas that is
4 going into TransCanada, it can't be odourized, but our
5 understanding is that -- I think it is within a very short
6 distance. I'd have to look up the exact distance -- but
7 the sites are quite close.

8 MR. MONDROW: How many facilities are there in Quebec
9 for upgrading of RNG?

10 MR. MCGILL: As far as we know there's two operating
11 today.

12 MR. MONDROW: Okay, one is near TransCanada, and the
13 other one, does it co-locate the injection -- sorry, does
14 it co-locate the injection system with the upgrade
15 facility?

16 MR. MCGILL: We don't know.

17 MR. MONDROW: Do you deal with any other jurisdictions
18 other than B.C. and Quebec?

19 MR. MCGILL: Not that we would have direct knowledge
20 of.

21 MR. MONDROW: Okay. Thanks.

22 MR. VELLONE: So if you are co-locating the upgraded
23 injection equipment near the same site, does that mean your
24 injection equipment is facility-specific, it means it only
25 works for that one RNG supplier?

26 MR. CHAGANI: It would be dedicated to that one RNG
27 supplier. Typical -- like, it would have a meter set.
28 Meter sets are fairly standard for the volume and the

1 pressure of gas going through, so a lot of the equipment
2 would be standardized, the odour tank would be
3 standardized, but specifically it would be dedicated to
4 that one customer.

5 MR. VELLONE: And if that customer went out of
6 business for whatever reason, who would carry the cost for
7 the injection equipment?

8 MR. CHAGANI: Within our -- one of our interrogatory
9 responses we said that for -- we would follow a typical
10 process for acquiring security from our customers, so in
11 this case we would have some type of security with the
12 injection customer.

13 MR. VELLONE: So that in the event they do go out of
14 business, you are not going to recover in rates the costs
15 that you incurred to build this equipment.

16 MR. CHAGANI: That's correct.

17 MR. VELLONE: Other ratepayers would be held harmless?
18 Is that the intent?

19 MR. MCGILL: Yes, we would exercise whatever security
20 instrument we had to recover the unrecovered costs of the
21 facility.

22 MR. RUBENSTEIN: But you are not guaranteeing that if
23 a customer goes out of -- if a customer goes out of
24 business, ratepayers would be held harmless?

25 MR. MCGILL: I don't know that we can guarantee that
26 on a one-for-one dollar basis, but what I can tell you is
27 this is a typical practice where we are extending dedicated
28 facilities for a single customer. We typically enter into

1 a financial security agreement with them. That can entail
2 irrevocable letters of credit and things of that nature to
3 give us the protection we need to mitigate that risk of the
4 unrecovered cost of those facilities.

5 MR. RUBENSTEIN: And have you ever entered into -- or
6 have you ever constructed dedicated facilities for a single
7 customer of this financial magnitude without aid in
8 construction and so on?

9 MR. MCGILL: Off the top of my head I couldn't say. I
10 think -- I would expect that probably in the past -- like,
11 you are talking about a contribution in aid of
12 construction, which is different from acquiring security
13 from that customer, so in either case, whether there was a
14 contribution in aid of construction or not, if it was a
15 dedicated facility we would still be seeking the same kind
16 of financial assurances, it is just that if there was a
17 contribution in aid of construction, the capital costs that
18 we were trying to secure would be less.

19 MR. RUBENSTEIN: So let me break it down: Have you
20 ever constructed dedicated facilities for a single customer
21 of the magnitude that you expect for either the injection
22 or the upgrading system where you have not required the aid
23 in construction, but required letter of creditors, or maybe
24 not?

25 [Witness panel confers]

26 MR. RUBENSTEIN: Feel free to answer this by way of
27 undertaking.

28 MR. MCGILL: So the way I understand your question is

1 you are asking if we have ever installed dedicated
2 facilities that were subject to a capital contribution
3 where we didn't seek financial assurances?

4 MR. RUBENSTEIN: Have you ever constructed dedicated
5 facilities thereafter -- if there was or was not aid to
6 construction that you asked for, so the remaining amount
7 that essentially you were charging the customer for, of the
8 size that you are expecting for the injection or the
9 upgrading system?

10 MR. MCGILL: Well, what I can say is that we have
11 installed dedicated facilities to large customers that are
12 on -- in terms of dollar value, the same order of magnitude
13 where we did obtain letters of credit in order to secure
14 those investments.

15 We can recall at least two specific examples in the
16 more recent past, within the last five to ten years.

17 MR. RUBENSTEIN: And does the financial assurances
18 that you will require for from them, letter of credit or
19 something else, does that assure that the remaining value
20 that essentially you will be -- that if the company goes
21 out of business, that you will recover the full value of
22 the remaining life of those assets?

23 MR. MCGILL: Yes, the financial assurances are valued
24 such that we would recover the undepreciated capital cost
25 of those facilities.

26 MR. RUBENSTEIN: As well as removal, or any other...

27 MR. MCGILL: Decommissioning costs, yes.

28 MR. VELLONE: Okay. So going back to the diagram in

1 figure 1, and just to make sure I've got it all in my head,
2 your injection system would include gas analyzer testing
3 the RNG when it comes in, metering, compression, telemetry,
4 regulation and odourization equipment, as well as that
5 other list -- associated valves, pipelines, and things like
6 that.

7 MR. MCGILL: Yes.

8 MR. VELLONE: A pipeline to get you back to the
9 Enbridge distribution system?

10 MR. MCGILL: Yes.

11 MR. VELLONE: Anything I'm missing?

12 MR. MCGILL: At a high level, I don't think so, no.

13 MR. VELLONE: No storage tanks or anything like that
14 you're thinking about here?

15 MR. MCGILL: Storage tanks for the odourant. I don't
16 think we would have any storage tanks associated with the
17 compression equipment, if compression is required at a
18 site. There is some filtering equipment that would be sort
19 of in that other category of smaller components of the
20 system.

21 MR. VELLONE: That helps, thank you. You've spoken a
22 bit this morning about utilizing the EBO 188 feasibility
23 guideline as a process that you are using to determine the
24 rate for this new service offering. Is that -- is my
25 understanding of that correct?

26 MR. MCGILL: That's correct.

27 MR. VELLONE: So my read of EBO 188 is that it applies
28 to natural gas expansions, and doesn't necessarily apply to

1 RNG upgrading or RNG injections. Is that -- I mean, am I
2 missing something?

3 MR. MCGILL: Well, I think at the time that EBO 188
4 was drafted, RNG upgrading and injection facilities were
5 probably not contemplated at the time.

6 But what EBO 188 does give us is it gives us a
7 construct or a framework as to how we determine the
8 economic feasibility of gas distribution expansion
9 projects. And what we're doing is we're using that
10 methodology to determine the rate that's required to
11 recover the cost of these facilities and operating these
12 facilities over their contract life on a net present value
13 basis, which is consistent with the EBO 188 rationale and
14 concept.

15 MR. VELLONE: So it's a novel application of the
16 principles in EBO 188, to these new...

17 MR. MCGILL: Well, I -- not necessarily. I think we
18 spoke earlier with respect to one of the Board Staff
19 questions.

20 We apply the EBO 188 framework in pretty much exactly
21 the same way in order to determine demand charges under
22 rate 125. We use that framework to determine the
23 requirements for capital contributions in aid of
24 construction, which the Board has previously ruled are our
25 rate.

26 So I think we are on firm ground with respect to
27 applying the EBO 188 rationale in the way we have to
28 determine the rates for these services.

1 MR. VELLONE: But there's nothing in EBO 188 that says
2 it must apply in these circumstances?

3 MR. MCGILL: No.

4 MR. VELLONE: Can you pull up your response to CBA
5 Interrogatory No. 2, part 3?

6 MR. MCGILL: Yes, we have that.

7 MR. VELLONE: So your previous discussion where we
8 pinned down by what you meant by injection facilities may
9 answer this, but I'm just trying to understand.

10 When you say there is no ability to inject into
11 Enbridge's system, what did you mean by that?

12 MR. MCGILL: So at the moment, there are no RNG
13 injection facilities that are attached to our gas
14 distribution system.

15 MR. VELLONE: And when you say RNG injection
16 facilities, that's the equipment that we just talked about
17 a minute ago?

18 MR. MCGILL: Yes.

19 MR. VELLONE: Are there other ways that RNG could be
20 injected into the Enbridge system, other than use of one of
21 these types of injection facilities?

22 MR. MCGILL: I don't believe so, not without being in
23 violation of the codes and standards we operate under.

24 MR. VELLONE: So, for example, if RNG was injected
25 into the Union Gas pipeline system and then made it
26 downstream into yours?

27 MR. MCGILL: Yes.

28 MR. VELLONE: So Hamilton would be a pretty good

1 example of where that would be happening?

2 MR. MCGILL: But that's not directly injected into our
3 gas distribution system.

4 MR. VELLONE: Okay, fair enough. I guess -- in your
5 market research that you've done, have you come across any
6 examples of where an RNG injection station was not specific
7 to an RNG production and upgrading facility? You build it
8 and they come to you, as opposed to the other by a around?

9 MR. MCGILL: I'm not aware of any, no. I think -- I
10 think, based on the physical practicalities of trying to do
11 that, I just can't see how it would work in any kind of
12 cost-effective way.

13 There are different models where you could have, in
14 say an agricultural scenario, where you have a number of
15 farms that transport their waste to a central digester
16 facility, and it would be at that location that you would
17 include -- or build your upgrading facility and your
18 injection facility and attach it to an existing pipeline
19 system.

20 So you would have some kind of transportation network
21 of probably trucks that would pick up the waste and bring
22 it to a central location. Otherwise, I don't think it
23 would be economic to have 30 or 40 very small digesters and
24 upgrading facilities and injection facilities scattered
25 across a large geographic area,

26 So I think there are different models of how to
27 consolidate the feedstock in such a way that it becomes
28 economic. But to have a central injection facility with a

1 number of pipelines running from upgrading facilities to
2 it, I just don't believe that you could do that in a cost-
3 effective way.

4 MR. VELLONE: Fair enough. Can we pull up the
5 response to Energy Probe interrogatory number 3, please,
6 and specifically part C of that question.

7 MR. MCGILL: Yes, we have that.

8 MR. VELLONE: So in this question Energy Probe was
9 asking whether, setting aside RNG for a minute, whether
10 Ontario gas producers are required to use Enbridge assets
11 for injection services, and my understanding of the answer
12 is that, yes, they are. You would require them to use
13 Enbridge assets for injection services?

14 MR. MCGILL: Yes.

15 MR. VELLONE: How would those assets differ from what
16 you just walked me through for RNG injection services, for
17 a standard natural-gas injection?

18 MR. MCGILL: Well, they would be less complicated in
19 that we wouldn't be concerned about -- yeah, so I think if
20 you go to part F of the response to that question, I think
21 we've set out some of the differences between RNG and sort
22 of fossil-based natural gas and what the different
23 requirements are with respect to getting biogas up to
24 pipeline-quality RNG.

25 MR. VELLONE: So just going back to figure 1 in the
26 evidence again. I'd like you to help me translate these
27 different properties of standard natural gas and RNG into
28 the facilities that would be utilized to inject standard

1 natural gas as opposed to RNG.

2 So looking at figure 1, what wouldn't you need?

3 [Witness panel confers]

4 MR. MCGILL: So if we just look at the injection
5 system portion of the overall system, we would have
6 different testing requirements for traditional natural gas
7 versus upgraded RNG. We would have metering, probably
8 telemetry systems. As far as I know we don't have any
9 compression on our system today, but there would be a
10 requirement to regulate the flow of gas coming from that
11 local source into our system, and we would have to odourize
12 the gas where it's introduced into our system.

13 MR. VELLONE: And with a standard natural-gas
14 injection system, would you also propose to co-locate that
15 at the gas producer's site?

16 MR. MCGILL: Yes, typically that's the case, so in the
17 case of our major gate stations that take gas off the
18 TransCanada system, those facilities are all located on the
19 same site, and they include, because you have the drastic
20 pressure differentials, there is also equipment required
21 for heating and whatnot to make sure the facility doesn't
22 freeze up.

23 And in the case of the one local producer that we
24 transport gas for today, that injection facility is
25 located -- I can't say for certain whether it's on their
26 property, but it is either on their property or adjacent to
27 it.

28 MR. VELLONE: Okay, that's helpful.

1 Can you pull up the response to APPrO interrogatory
2 number 5?

3 MR. MURRAY: Mr. Vellone, I just wanted to do a time
4 check to see kind of where we are with things.

5 MR. VELLONE: I'm on my last set of questions.

6 MR. MURRAY: Thank you.

7 MR. VELLONE: Part F, the answer to part F. It's
8 showing on the screen.

9 MR. CHAGANI: Yeah, we have that now, sorry.

10 MR. VELLONE: So you have one contract in place, and
11 my understanding that's with the City of Toronto; is
12 that --

13 MR. MCGILL: That's correct.

14 MR. VELLONE: Is that contract dependent upon the
15 Board granting the relief requested in this application?

16 MR. MCGILL: Well, the contract has been drafted in
17 such a way that we would be able to go ahead and provide
18 the services, whether or not we get the relief we're
19 requesting in this application.

20 MR. VELLONE: Okay, and I -- with regards to the
21 business model that's proposed for this application, I
22 guess my question goes back to Mr. Rubenstein's question,
23 which is why couldn't you just lower the upgrading fees or
24 injection fees that you are charging these customers and
25 charge them a capital contribution like you do -- or
26 contribution in aid of construction like you do with your
27 other customers? I guess, why the special model?

28 [Witness panel confers]

1 MR. MCGILL: Typically we don't charge customers
2 joining the system capital contributions or charge them for
3 contributions in aid of construction. Contributions in aid
4 of construction are only required when the base rate
5 applied to the estimated volume that that customer is going
6 to take don't generate enough revenue to cover the cost of
7 those facilities over their accounting life on a net
8 present value basis, so that's typically not what we do.

9 MR. VELLONE: So I'm just trying to unpack that
10 answer. So we were looking earlier at Appendix number 5, I
11 believe it was, to your original evidence.

12 MR. MCGILL: Yes.

13 MR. VELLONE: And I thought that showed that you did
14 require a kind of subsidy from ratepayers over a certain
15 period of time and then that subsidy was paid back over the
16 life of the asset; is that not...

17 MR. MCGILL: Well, I think -- I don't know that
18 "subsidy" is quite the right way to put it. I think in our
19 business today, you know, for example, if we are following
20 the EBO 188 guideline with our -- in our standard day-to-
21 day business, the average cost to add a residential
22 customer right now is about \$3,800. The average gas bill
23 for that customer is about \$900 a year, so it is obvious
24 that that customer, on average, is not returning the full
25 cost of providing service to them from day one.

26 So in order to provide them with that, in essence,
27 levelled rate of \$900 per year, they operate in a
28 deficient -- or revenue deficiency situation for some

1 number of years until depreciation takes the cost of the
2 asset down to the point where that \$900 a year or the
3 distribution margin that's included in that exceeds the
4 cost of providing them service in any given year.

5 So what you have happening is you have deficiencies
6 typically in the early years that are returned in the later
7 years, and the feasibility test we operate under requires
8 us to have a investment portfolio PI of 1.0 or greater, so
9 what that does is it means that those new customers,
10 although they are under-contributing in the early years,
11 over the asset life they are not, so that there is no
12 cross-subsidy coming from existing customers to bring them
13 on to the system if we're following that feasibility
14 guideline.

15 So the same thing holds true in what we're proposing
16 here. So it's that temporal difference between revenue
17 requirement and revenues that's being tracked, and in most
18 cases you're deficient in the early years and you have
19 sufficiencies in the later years, and over the life of the
20 asset they balance each other off to give you a PI of 1.0,
21 which is indicative of net present value of zero, which is,
22 nobody won, nobody gained, so we are applying that same
23 rationale here, so this is no different than any other
24 customer we would add.

25 MR. VELLONE: So if the temporal difference is a
26 concern for ratepayers, is one way to solve that by
27 charging an upfront capital contribution? Let's not call
28 it a contribution in aid of construction, because you are

1 disagreeing with that. But if you just charge them a
2 capital contribution, can you get rid of that temporal
3 difference?

4 MR. MCGILL: It may. It would reduce the capital cost
5 that -- actually, I don't think it would the way we're
6 doing this, because you would reduce the capital cost of
7 that project, which would reduce that project's revenue
8 requirement, which would reduce that project's rate.

9 So you would still have the same profile of
10 deficiencies and sufficiencies over the same period of time
11 with a capital contribution. It's just that the sizes of
12 the whole thing becomes less.

13 So I don't think the answer to your question is yes.
14 It would be the same, but smaller.

15 Now, what did we did do and we did test in one of the
16 interrogatory responses is if you move off of a levelized
17 rate so that you charge more in the early years and less in
18 the latter years, then you wouldn't have those revenue
19 deficiencies and sufficiencies.

20 But that would undermine the entire service by not
21 being able to offer it at a levelized cost or rate to
22 those customers.

23 MR. VELLONE: Recognizing that I've gone over time,
24 we're going to park it there, I think.

25 MR. MURRAY: Mr. Buonaguro?

26 MR. BUONAGURO: Thank you. Are we going to have
27 lunch?

28 MR. MURRAY: Well, I actually think we've only be

1 going for less than a hour since we came back from the
2 break. We actually only started back about 11:55. So I'd
3 like to try to get through one more before lunch, if we
4 can.

5 MR. BUONAGURO: Sure. I put in for 30 minutes, but
6 I'm going to try to come in well under that. If I am, I'll
7 be the first person today, so...

8 **EXAMINATION BY MR. BUONAGURO:**

9 Good afternoon, panel. Michael Buonaguro, I'm counsel
10 in this instance for the Canadian Biogas Association.

11 A lot of the topic areas I was going to cover have at
12 least been touched on, if not discussed in detail. So I'm
13 going to flit around a little bit just to clean up some
14 points that I wanted to follow-up on.

15 If you could pull up the diagram that you were
16 speaking to Mr. Vellone about, in terms of -- I have the
17 reference here. It's B1.1, page 15 -- that's it -- from
18 the evidence.

19 And I noticed on this diagram -- and this relates to a
20 series of questions I was going to ask, but this is a
21 simpler way of doing it -- under injection system, it says
22 "compression or regulation".

23 Can you explain why on the injection side there seems
24 to be a disjunctive option; there could be compression or
25 there could be regulation?

26 MR. CHAGANI: So the biogas producer, if they're
27 managing the clean-up, the output of the clean-up facility
28 could give us gas at a higher pressure than our system, or

1 a lower pressure than our system. And so in that case, if
2 we get it at a lower pressure, we would increase the
3 pressure to match the pressure of the system. And if it's
4 a higher pressure, we would decrease it with regulation to
5 get it down to meet.

6 MR. BUONAGURO: I see. So from a compression point of
7 view -- and I noted in the main evidence and interrogatory
8 responses, you talk about compression in the injection side
9 -- the needs for any particular customer will depend on how
10 they're delivering the gas from a compression point of
11 view?

12 MR. MCGILL: It will depend on where the facility is
13 located in relation to our system, and what the operating
14 pressures in our system are at that location.

15 So let's say if I've got an existing part of the gas
16 distribution system that has a maximum operating pressure
17 of 300 psi, and the RNG coming out of the -- coming into
18 the injection system is at 200 psi, I've got to use
19 compression to increase that pressure above the 300 psi in
20 order to get the gas to flow into the pipe.

21 So conversely, if you have the opposite situation
22 where the gas coming out of the injection facility is at a
23 higher pressure than what we can allow in the adjacent
24 pipeline, you have to use regulation to cut the pressure of
25 that gas coming into the system so that will be at a
26 pressure that's acceptable to our system, so we don't over-
27 pressurize that part of the system.

28 So it could be either or, depending on the location

1 and the characteristics of our gas distribution system in
2 that area.

3 MR. BUONAGURO: Thank you. In this example, I guess,
4 this sort of assumes that if -- I think it assumes that if
5 Enbridge is doing the upgrading on the same site as they're
6 also doing injection services, then you would include full
7 compression as part of the injection system?

8 MR. MCGILL: Yes, if compression was required, it
9 would be part of the injection facility.

10 MR. BUONAGURO: But in another scenario where a
11 company has decided to do the upgrading itself, it may be
12 the case that they're able to deliver it -- the upgraded
13 renewable natural gas at a compression or pressure that all
14 you have to do is regulate it?

15 MR. MCGILL: Yes, that could be the case.

16 MR. BUONAGURO: But it's basically RNG producer
17 specific; it depends on the situation?

18 MR. MCGILL: Yes.

19 MR. BUONAGURO: Fair enough. I just wanted to confirm
20 that. You were -- and again you were speaking to Mr.
21 Vellone about injection systems, and you mentioned specific
22 example of an injection site for traditional, I'll call it,
23 natural gas where Enbridge is injecting gas into its own
24 system.

25 MR. MCGILL: Yes.

26 MR. BUONAGURO: There was an interrogatory response,
27 Exhibit I, tab 1, EGD.I.EP3, so I guess the first set of
28 interrogatory response is EP3 and it refer to, I think,

1 that same system. It says in response A:

2 "Enbridge does not currently purchase any Ontario
3 natural gas production. Enbridge currently owns
4 and operates one gas custody transfer station
5 where natural gas produced in Ontario is injected
6 into the company's gas distribution system for
7 transportation to Dawn."

8 Is that the same facility?

9 MR. MCGILL: That's the same facility that I was
10 referring to earlier, yes.

11 MR. BUONAGURO: So that's the one example of Enbridge
12 running an injection site for something other than RNG; is
13 that fair?

14 MR. MCGILL: Yes.

15 MR. BUONAGURO: Okay. And my understanding from this
16 morning, if I got it correctly -- and throughout the
17 interrogatory responses, I think this is true -- Enbridge
18 owns and operates that facility?

19 MR. MCGILL: The injection parts of that facility,
20 yes.

21 MR. BUONAGURO: Okay. And would Enbridge have had to
22 seek special permission from the Board to purchase and own
23 and run and include in rates that injection facility?

24 MR. MCGILL: I don't know. I think that facility is a
25 very old facility, and I'm just not sure whether there was
26 special dispensation required from the Board with respect
27 to that or not.

28 [Witness panel confers]

1 MR. GINIS: We were just saying that in terms of that
2 physical facility, it's probably been there since the
3 1960s. So whether or not the Board considered it on a
4 stand-alone basis or not, I don't know. I would be
5 surprised if they did. I think it just would have been
6 treated as part of our general gas distribution system.

7 MR. BUONAGURO: But presumably, it's been part of rate
8 base ever since it was installed?

9 MR. MCGILL: I would expect so, yes.

10 MR. BUONAGURO: Thank you. Somebody's pointed out it
11 is probably fully depreciated by now, unless there has been
12 upgrades?

13 MR. MCGILL: That would be my guess, yes.

14 MR. MONDROW: Unless the producer paid for it.

15 MR. MCGILL: Pardon me?

16 MR. MONDROW: Unless the producer paid for it, which
17 is another possibility.

18 MR. MCGILL: That's a possibility. Like I said, it
19 goes back quite a ways.

20 MR. MONDROW: Understood.

21 MR. BUONAGURO: I think you just said it was included
22 in rate base, though.

23 MR. MONDROW: That's why I'm asking. We don't know
24 that. You're assuming...

25 MR. MCGILL: Presumably, it would have been.

26 MR. BUONAGURO: Presumably, the producer paid
27 something for the service, and continues to pay for the
28 service?

1 MR. MCGILL: Yes, we have an agreement in place to
2 transport the gas for them from their site to Dawn. And I
3 think we explained that elsewhere in the interrogatory
4 responses; that's done on the basis of an exchange
5 agreement and we either pay or receive the differential in
6 the transportation cost to the CDA.

7 MR. BUONAGURO: Right. So it sounds to me like what
8 you're saying is that the injection component of whatever
9 they're paying for is a sub-component of an overall
10 contract to move the gas?

11 MR. MCGILL: Yes.

12 MR. MONDROW: Sorry, Michael, could I just ask a
13 question?

14 MR. BUONAGURO: Yes.

15 MR. MONDROW: Does that producer pay for an injection
16 service?

17 MR. MCGILL: No, they don't.

18 MR. MONDROW: Okay. What they pay you is for a
19 transportation service?

20 MR. MCGILL: Yes, effectively a transportation
21 service. It's a gas exchange agreement that that operates
22 under and as far as I know, there is a monthly
23 administration fee and it's just basically either charging
24 them or paying the toll differential to the CDA with
25 respect to that gas.

26 MR. MONDROW: But you do understand, if I understand
27 your statements a few minutes ago, that the injection
28 facility cost was at least at one-time included in rate

1 base.

2 MR. MCGILL: I believe it was, because that entire
3 facility originally was part of the old Consumers Gas
4 system.

5 MR. MONDROW: And so it just would have been included
6 as kind of a distribution facility?

7 MR. MCGILL: Yes.

8 MR. MONDROW: Thanks. Thanks, Michael.

9 MR. BUONAGURO: Thank you.

10 Now, I think you spoke with Mr. Rubenstein at some
11 point about this, but I'm just going to follow up. Exhibit
12 I.2.EGDI.SEC.16. And this talks about financial assurances
13 that are to be provided by RNG producers that take
14 either/or of the services, and this talks about article 13,
15 response B. It says:

16 "Article 13 of the biogas service agreement
17 addresses financial assurances. The treatment of
18 financial assurances will be consistent with
19 Enbridge's existing practices."

20 And I took it from your early conversation with Mr.
21 Rubenstein, is that the intent of the proposal in this case
22 is to extract from RNG producers, if I can use that word,
23 the same financial assurances that you would extract from
24 customers in similar situations in terms of securing the
25 revenue stream from those customers over the necessary
26 lifetime of whatever the undertaking is, in this case an
27 undertaking to provide either upgrading and/or injection
28 services?

1 MR. MCGILL: Yes, that's correct.

2 MR. BUONAGURO: All right, thank you.

3 Now, just flipping to -- this is Exhibit
4 I.2.EGDI.APPrO.7. And at part B the answer was -- and this
5 has to do with injecting gas into your system, I assume.
6 It says:

7 "Enbridge can only accept gas when system
8 capacity is available. If applicable, the
9 producers would be provided options for
10 connection to the Enbridge system. In some cases
11 connection to a different system or pipeline can
12 increase the takeaway capacity, and then the
13 costs of the connection to the Enbridge system
14 will be included in the RNG injection services
15 fee."

16 MR. MCGILL: Right.

17 MR. BUONAGURO: And I think you've spoken a little bit
18 about this already, but I want to get some further detail
19 if you could.

20 It sounds to me like you can't just connect to any
21 part of your distribution system and get the same injection
22 capacity, right?

23 MR. MCGILL: That's correct, yeah, so what we're
24 trying to get at in this response is, is that if there were
25 -- if we had two parts of our pipeline system that were in
26 reasonably close proximity to an RNG production site, it
27 could be that in one of those parts of the system our
28 ability to take gas away from that site is more

1 constrained. So if that part of the system was operating
2 at or near its maximum pressures more often than not, then
3 there would be periods of time where we just couldn't take
4 the gas into the system, and then you'd either have to shut
5 down the upgrading facility and, you know, the gas would
6 either have to be reprocessed back through a digest or a
7 flared.

8 But then, you know, there could be another part of our
9 system that is slightly further away that does have the
10 capacity to take the gas or take the RNG away more of the
11 time, so then you would look at it and say, well, in this
12 specific set of circumstances are you better off to do the
13 shorter pipeline connection to the part of our system that
14 has the limited takeaway capacity, or spend more money to
15 get to another part of our system that has a greater
16 takeaway capacity. And the economics of that would be
17 unique to every situation.

18 MR. BUONAGURO: Okay. Thank you, that helps.

19 Now, does that -- let's say you have a situation where
20 you've connected someone at a particular point after going
21 through that analysis and figuring out, from their
22 perspective, an optimum connection point.

23 Intuitively I'm concerned that the takeaway
24 capacity -- I think that's what you've referred to -- yeah,
25 the takeaway capacity for any particular area in your
26 system, including the area that we're talking about in the
27 hypothetical, could change over time based on a number of
28 factors; is that true?

1 MR. MCGILL: Yes, it could.

2 MR. BUONAGURO: So how does that affect -- or how
3 could that affect the operation of that particular producer
4 over time in terms of its ability to inject into the
5 system?

6 MR. MCGILL: Again, it would be circumstantial and
7 sort of case-specific, but in an instance where we had load
8 growth in that area, our takeaway capacity is likely to
9 increase, so that there would be potential for that
10 producer to introduce more gas into our system than
11 otherwise.

12 If we lost load in that part of the system, then it is
13 likely that the takeaway capacity would decrease and we
14 would be able to take less of the RNG from that production
15 facility.

16 So that's one of the reasons, in order to try and, you
17 know, reduce the risk to the company and the ratepayers
18 associated with the service, we've gone to this levelized
19 fee whereby the biogas producer will pay the same amount
20 regardless of the amount of gas that's injected into our
21 system.

22 MR. BUONAGURO: Right, so -- and what you're telling
23 me there is that -- I think, is that if -- and from a
24 producer's point of view, if the ability to inject gas in
25 the system happens to go down over time, which, you haven't
26 talked about how likely that is. I think you're saying
27 that as long as load growth goes up it should actually
28 increase over time, but if it goes down over time that

1 doesn't change how much they're paying under your proposal.

2 MR. MCGILL: That's correct.

3 MR. BUONAGURO: Thank you. And lastly, actually, just
4 to summarize what I understood from a lot of the
5 conversation you had this morning with, I think, Board
6 Staff and Ms. DeMarco, there was a lot of discussion about
7 environmental attributes, and I'm -- and I told Ms. DeMarco
8 I'm guilty of misusing the term, maybe using it too
9 generically or not narrowly enough, but my understanding is
10 even if I use it in the broadest sense of the word,
11 environmental attributes, your proposal for the pricing of
12 the Rate 400 and the Rate 401 services essentially ignores
13 environmental attributes; is that fair?

14 MR. MCGILL: Yes, we don't take that into account in
15 the determination of what the rate would be under either
16 one of those rate schedules.

17 MR. BUONAGURO: Right, so you could offer the same
18 sort of pricing model for conventional natural gas coming
19 out of my backyard in downtown Toronto -- I wish that would
20 happen -- but it would still hold as a pricing model?

21 MR. MCGILL: Yes, and -- depending, yes, so the
22 pricing model would hold true, yes.

23 MR. BUONAGURO: Okay. Let me just check to make sure
24 I didn't miss anything.

25 No, thank you, those are my questions.

26 MR. MURRAY: I think now is probably a good time to
27 break for lunch, but if I could ask people take a short
28 lunch break and come back at ten to 2:00.

1 --- Luncheon recess taken at 1:05 p.m.

2 --- On resuming at 1:55 p.m.

3 MR. MURRAY: Welcome back, everyone. I think we now
4 are now on Ms. Girvan for CCC.

5 **EXAMINATION BY MS. GIRVAN:**

6 MS. GIRVAN: Thank you. I will give you the reference
7 for each of them.

8 Could you first turn to Board Staff number 1, please?
9 If you could just scroll down. I'm looking at my own --
10 sorry, I'm looking at my own computer and it wasn't
11 scrolling down. If you turn to the third point, it says
12 that:

13 "Enbridge is aware of other organizations that
14 capable of providing the design of RNG upgrading
15 facilities and supplying the necessary
16 equipment."

17 Could you tell me how many other organizations are
18 doing this when you talk about the ones that are -- other
19 organization that are capable?

20 MS. FRASER: And the engineering --- .

21 MS. GIRVAN: Any engineering firm.

22 [Laughter]

23 MR. CHAGANI: I guess there's two elements to that,
24 right? The first one is the design of the RNG upgrading
25 facilities, and there are a number of engineering companies
26 that would be able to support that design.

27 And then the second piece is the equipment providers.
28 So I don't know the number of equipment providers, but

1 there's at least a dozen companies that can do similar
2 functions of cleaning the biogas to meet pipeline
3 specifications.

4 And Enbridge, if we were undertaking the activity,
5 would hire one of these equipment providers to actually
6 like build the membranes and clean-up equipment that we
7 would then get installed.

8 MS. GIRVAN: Okay, thank you. If you could turn to
9 APPrO number 2, please. In part C, I'm trying to
10 understand the answer there about the risk faced by
11 ratepayers will be equivalent to those they face today in
12 respect of any other investment. Could you explain that to
13 me?

14 MR. MCGILL: Yes, I think -- we talked about this
15 earlier today, and that -- so the EBO 188 guideline is
16 designed to ensure that new customers aren't subsidized by
17 existing customers of the utility.

18 And so what -- and that test is based on a discounted
19 cash flow calculation that's supplied to the net revenues
20 of the project and compares that to the net present value
21 of the cost of the projects and the result. And the
22 result, in order to go ahead, needs to be a PI of 1.0 or
23 higher.

24 So what that means is that on a forecast net present
25 value basis, there is no cross-subsidy if you are at a PI
26 of 1.0 over the life of those assets.

27 But what you do have, as I described earlier, is that
28 temporal revenue deficiency in the early years that's made

1 up by revenue sufficiencies in the latter year, so that
2 over the course of the life of the asset, you end up with a
3 -- in the case of a PI of 1.0, a net present value of zero,
4 which infers that there is no subsidy from existing
5 ratepayers to support the addition of those new customers.

6 So that logic applies directly to the way we've gone
7 about setting up the rate-setting process for rates 400 and
8 rate 401, so that if you're applying EBO 188 as the
9 feasibility test for any other utility investment, you
10 still face that same early year revenue deficiency and
11 latter year revenue sufficiency with any other investment
12 the utility would make.

13 So on that basis, it's our position that the risk to
14 ratepayers is no different than it would be for a regular
15 main extension, or the addition of subdivision customers,
16 or any of our other regular business.

17 MS. GIRVAN: And it says -- I may have missed this,
18 but how long are these contracts?

19 MR. MCGILL: In the example we're showing, it's a 20-
20 year contract. They could be anywhere from 10 to 20 years.

21 MS. GIRVAN: And you are asking the Board for approval
22 of that, anywhere between 10 and 20 years?

23 MR. MCGILL: Well, we would set the rate to recover
24 the costs over whatever the contract life span was. So if
25 it was a 15-year contract, let's say, we would set the
26 rates such that we would recover all of our cost on a
27 discounted basis over that 15-year contract life.

28 MS. GIRVAN: Okay. But what do you think is going to

1 be the standard? Is it ten years? Is it 15? Is it 20?

2 MR. MCGILL: So there's two considerations. One is
3 the estimated physical life of the upgrading facilities is
4 20 years. So that kind of sets the maximum contract span.
5 And then the other requirement of EBO 188 is that for
6 industrial customers, we do the feasibility test over 20
7 years --not longer than 20 years. So we're consistent with
8 that element of EBO 188 as well.

9 MS. GIRVAN: But do you -- do you think they are all
10 going to be 20 years, or some of them might be 10?

11 MR. MCGILL: I don't know.

12 MR. CHAGANI: We expect that the feedstock would play
13 into that as well. So there's some biogas feedstock that,
14 like landfills for instance, that have a shelf life or a
15 point where they won't be generating biogas anymore.

16 So we would work with the producer to determine the
17 lifetime that they see as best. And in the event that they
18 don't produce, again our rate is fixed, a set amount every
19 single month, so they would have to continue to pay us. So
20 it would be in their best interest to work with us on what
21 that timeline looks like.

22 MS. GIRVAN: So you are not asking the OEB to approve
23 the contracts; you are asking the OEB to approve the rate?

24 MR. MCGILL: Yes, what we're asking the Board to
25 approve is the rate-setting methodology, because we'd end
26 up with a unique rate for each facility.

27 MS. GIRVAN: Okay. All right, thank you. Mr. McGill,
28 you spoke earlier about the accelerated capital cost

1 reduction, and that that's an advantage that Enbridge would
2 have in this case?

3 MR. MCGILL: Yes, it is the accelerated capital cost
4 allowance for tax purposes. So in terms of deducting the
5 capital cost of these investments for the purposes of
6 determining income tax payable, you are allowed to
7 depreciate these assets on a faster timeframe than what you
8 would typically see because they are supporting the
9 production of renewable energy.

10 MS. GIRVAN: Doesn't that give you an advantage over
11 other potential upgraders?

12 [Witness panel confers]

13 MR. MCGILL: So the capital cost treatment would apply
14 the same to anyone that's entering into this line of
15 business, because that's part of the Income Tax Act. It's
16 outside of, you know, sort of our rate-setting scope.

17 MS. GIRVAN: But I thought you said that's an
18 advantage that you have doing -- dealing with the utility.

19 MR. MCGILL: So you have -- okay, so if you were
20 having dedicated start-up company that had no other sources
21 of income other than providing these RNG services, then
22 they would have no income to apply, or very little income
23 to apply that tax deduction against. And so they wouldn't
24 get the tax -- the same kind of tax benefit that a larger
25 organization that already has taxable income flowing into
26 it would receive from being able to take advantage of the
27 accelerated capital cost allowance.

28 MS. GIRVAN: All right, thank you. Could you turn to

1 CBA number 2, please?

2 I think Mr. Buonaguro was asking you about this, but
3 there is one production facility operating currently in
4 Ontario, that's correct?

5 MR. MCGILL: Yes.

6 MS. GIRVAN: And how long do you think it will take
7 for more suppliers to be up and running?

8 MR. MCGILL: Well, we -- I think on average, it's
9 probably -- from the time the contracts are executed, it's
10 probably about a two-year lead time to get one of these
11 facilities built and installed and up and running, so, you
12 know, we have one facility that is in the process of being
13 designed right now. I think the target date to bring that
14 into service is late 2019, so, you know, that's sort of the
15 order of the time scale it takes in order to get these
16 things built and up and running.

17 MS. GIRVAN: And will this be dependent on government
18 funding of the actual biogas?

19 MR. MCGILL: Not necessarily. If the RNG is being
20 sold to either parties that seek it today inside Ontario or
21 parties that seek it outside of Ontario today, then that
22 means there's a market for the RNG and that a need for
23 someone to facilitate the production of that RNG.

24 MS. GIRIDHAR: So, you know, RNG, we are finding in
25 our discussions with municipalities that there is a couple
26 reasons why they like RNG. Some of it is, respond to that
27 community energy plans, but several of the larger
28 municipalities that also have green-bin organic collection

1 systems, they're interested in using RNG for
2 transportation, so a number of jurisdictions have --
3 actually converting their garbage collection trucks to CNG,
4 or compressed natural gas, and then, you know, they are
5 attracted by the notion of generating renewable natural gas
6 from the waste collected and using it to fuel their trucks,
7 so sort of a -- what is it you call it --

8 MR. MCGILL: Well, it's a circular economy, so --

9 MS. GIRIDHAR: Circular economy.

10 MR. MCGILL: -- so I think it was late in 2016 the
11 provincial government actually tabled proposed legislation.
12 I think it was called the Circular Economy Act. Part of
13 this was bringing forward a prohibition on putting food
14 waste into landfills, so that actually you could capture
15 that waste and turn it into some kind of renewable fuel
16 source, so that legislation didn't go forward, but the
17 prohibition on food waste in landfills was, again, looked
18 at last year. There's no legislation in place as of yet
19 with respect to that, but that's another consideration for
20 the municipalities.

21 If they're forced in -- those that don't have green-
22 bin programs today, there's a good likelihood that they
23 will be required to implement that type of program in the
24 not too distant future, which means they need to find a
25 home for this food waste that they'll be collecting.

26 MS. GIRVAN: Okay, could you turn to FRPO number 1,
27 please? Could you explain to me what the underlined
28 sentence means?

1 MR. MCGILL: That:

2 "Enbridge will enable the movement of that gas to
3 a terminal location of the producer's choice
4 through the various service offerings Enbridge
5 provides its customers today."

6 So that -- so if you follow up on Malini's example, so
7 let's say you're looking at a municipality that is
8 producing RNG and they want to use it to fuel their garbage
9 trucks, so typically the garbage trucks wouldn't be located
10 at the same site as the RNG facility would be, so that we
11 would enter into gas transportation agreements, as we would
12 to move gas today on -- for -- on a, you know, more
13 traditional basis, to move the gas from the RNG production
14 site to the site where that customer wants to use the gas.
15 So in this example it would be an NGV refuelling station
16 dedicated to refuelling those garbage trucks.

17 MS. GIRVAN: Okay, you talked earlier about an example
18 of someone that's 20 kilometres away from your existing
19 system?

20 MR. MCGILL: Yes.

21 MS. GIRVAN: And it's still not clear to me who pays
22 for that 20 kilometres of pipe.

23 MR. MCGILL: In our proposal that cost would be
24 recovered through the injection service fee.

25 MS. GIRVAN: Okay, okay, and you mentioned that you
26 have now an agreement with Toronto Hydro?

27 MR. MCGILL: No, it is the city of Toronto.

28 MS. GIRVAN: The city of Toronto, sorry. And can you

1 tell me how that's become viable? Are there subsidies from
2 the city of Toronto for that program?

3 MR. MCGILL: Well, with respect to our relationship
4 with the city of Toronto there is no provincial or other
5 government subsidies that we're aware of. I am aware that
6 the city of Toronto did get -- or I believe has been
7 awarded some money from the province to offset the cost of
8 building the facility.

9 MS. GIRVAN: Okay, because you had said it doesn't
10 matter if it's in the utility or out of the utility, it's
11 still a viable opportunity.

12 MR. MCGILL: I don't know that I said that
13 specifically, but the city of Toronto is going ahead with
14 the project, you know, even though the province -- or the
15 new provincial government is in the process of unwinding
16 the cap-and-trade program.

17 MS. GIRVAN: But regardless of whether or not you get
18 approval from the Board to have this program in the
19 utility.

20 MR. MCGILL: Yes, we're prepared to go ahead with the
21 city of Toronto and honour the commitment -- the
22 contractual commitments we've made to them.

23 MR. QUINN: I just wanted to ask a follow-up question
24 in that area too, because I think the words you used is
25 "the way the contract was drafted".

26 [Witness panel confers]

27 MR. MCGILL: Sorry --

28 MR. QUINN: No, no, I want to respect -- you were

1 talking. I just -- I was following up on Julie's question.
2 I think the words you used is "way the contract is
3 drafted" --

4 MR. MCGILL: Yes.

5 MR. QUINN: -- "whether we get approval or not we
6 would still proceed with the city of Toronto project"; do I
7 -- got that right?

8 MR. MCGILL: Yes.

9 MR. QUINN: Okay. So my question is -- and without
10 getting into the details of the contract -- I'll respect
11 that, but if the Board does not approve the 401 rate for
12 injection as part of this proceeding, are you saying that
13 your drafting of your contract would allow you to support
14 Toronto -- city of Toronto in using its facility on its
15 own? So in other words, the gas doesn't hit your system.

16 MR. MCGILL: Well, I think the -- given the nature of
17 the location, I think the gas would have to enter our
18 system in order to be useable. I don't think the city
19 could, you know, use the volume of RNG that would produce
20 at the site where the production facility is.

21 MR. QUINN: Okay.

22 MR. MCGILL: So we would have to move the gas for them
23 somewhere. That would be up to the city to decide where we
24 would move that.

25 MR. QUINN: But your mechanism and your rate to inject
26 the gas, if it's not approved by the Board, what
27 authorization would you have to take that gas into your
28 system?

1 MS. GIRIDHAR: I think that is the case we are making
2 here. There is a demand for RNG. We have a customer that
3 is seeking the service, so certainly the injection service
4 is something that we would -- that the city of Toronto
5 would like to have approved so that they can inject that
6 RNG into the system.

7 MR. QUINN: But again, I don't want to -- it's in the
8 transcript, but if you are saying you are going to go ahead
9 whether this is approved or not, I'm -- I don't understand
10 how you are going to do that without Board approval.

11 MS. GIRIDHAR: I think the context on the -- was
12 specifically with respect to the upgrading service, in that
13 it has been designed -- the upgrading service has been
14 designed on the principles we have here, and we would move
15 forward to provide them with the upgrading service, but I
16 think it's fair to say that we are looking to have the
17 means to inject RNG into our system as well.

18 MR. QUINN: So that -- the premise is that the 401
19 service has to be approved by the Board in one way, shape,
20 or form. The 400 service could be something that the Board
21 decides differently, but to be able to have the gas enter
22 your system, are you -- you would need some kind of rate to
23 do that if you are going to be asking...

24 MR. MCGILL: We would need a mechanism to recover the
25 cost of that injection facility.

26 MR. STEVENS: I think to be fair, Dwayne, we'd have to
27 understand the basis on which the Board declined to approve
28 these services.

1 MR. QUINN: Okay. If --

2 MR. STEVENS: If, for example, the Board declined to
3 approve the injection service because for some reason it
4 was viewed to be a competitive service --

5 MR. QUINN: Right.

6 MR. STEVENS: -- that might not close the door on
7 being able to offer that service in some other way.

8 MR. QUINN: Okay, and that's sufficient, Mr. Stevens,
9 and I don't want to take Julie's time here. I had
10 questions in this area. I'll loop back on some follow-up
11 questions, but that's sufficient for this point. Thank
12 you.

13 MS. GIRVAN: Okay, and just one last question. Can
14 you explain the extent to which Enbridge is working with
15 Union Gas on these initiatives?

16 MR. MCGILL: I would say it's on a very limited basis.
17 I think they're aware of what we are doing. I'm not aware
18 of any proposals comparable to this that they have on the
19 table at this point in time.

20 MS. GIRVAN: So it's not the intent to have this type
21 of thing through a merged company?

22 MR. MCGILL: It may be. It will depend on what that
23 merged company or integrated company looks like after that
24 process is complete.

25 MS. GIRIDHAR: To be clear, this is an area that, you
26 know, like others where there was not been any detailed
27 discussions or planning on this issue.

28 MS. GIRVAN: Okay, all right. Thank you.

1 **EXAMINATION BY MR. YAUCH:**

2 MR. YAUCH: Good afternoon. I have very few
3 questions; a lot of them have been asked and answered.

4 If we could go to Board Staff number 1. In part A,
5 response A, part 3, you sort of lay out why you should be
6 allowed to do this, and two of the reasons are it won't
7 affect market competition and you won't have a monopoly on
8 this business.

9 I heard you earlier speak about your weighting cost of
10 capital, in fact, because you are a regulated utility and
11 it is a bit lower than if this was in non regulated
12 business.

13 Well, does that not act as a little bit of a
14 competitive advantage to you if you are entering into this
15 market compared to other companies, the fact that you can
16 use your regulated cost of capital which is lower than a
17 non-regulated company?

18 MR. MCGILL: Well, I think it comes down to the cost
19 of capital that our company is willing to accept. So if
20 our parent is willing to invest funds in the regulated
21 business that offers an OEB-approved rate of return on
22 equity, then that's the choice of our parent.

23 If a competitor wanted to make comparable investments
24 in the same kind of facilities and earn a comparable
25 return, then that would be up to them to decide what return
26 they require in order to go ahead with that investment.

27 MR. YAUCH: This being a new industry, as you admit in
28 that answer, there isn't really any other regulated utility

1 that would get in this space. There would be start-up
2 companies; it's a new industry, a new company, and they
3 wouldn't have access to the same type of cost of capital
4 that you would you have, correct?

5 MR. MCGILL: Well, again I think it comes -- from a
6 competitive standpoint, it comes down to what level of
7 return a competitor would see as acceptable.

8 So in our case, our parent company is willing to
9 continue to invest in the utility and earn the utility's
10 regulated rate of return. That rate of return might not be
11 satisfactory to other parties, so they might require a
12 higher rate of return or choose not to enter into this
13 business.

14 But in terms of competition, I think we're all on
15 equal ground here in terms of, you know, this is what the
16 returns that our company is willing to accept and then it's
17 up to others to decide whether or not, you know, they can
18 offer the service at the same cost.

19 MR. YAUCH: Okay. As part of your application, there
20 is a PI of 1.1. So the way I interpret that is ultimately
21 current ratepayers benefit just a little bit, that .1
22 higher, correct?

23 MR. MCGILL: Correct.

24 MR. YAUCH: If you ran it through a non-regulated
25 business, so an a affiliate, that 0.1 would flow to your
26 shareholders as opposed to ratepayers, right? There would
27 be a advantage to a utility to doing in that manner?

28 MR. MCGILL: If it was all things equal in terms of

1 the two businesses, and the way they are funded, and the
2 cost structures and whatnot, yes.

3 But, you know, I can speak from my own experience in
4 competitive business, that competitors don't always make
5 money; they sometimes enter markets at a loss. You know,
6 I'm very familiar with running retail businesses, so when
7 we put things on sale at 50 or 70 percent off, the people
8 that bought those items at 100 percent of the original
9 price are subsidizing the people that bought the sale items
10 later on.

11 So it's very hard, when you go into a competitive
12 world, to compare that to what we do here in a utility.
13 There's different motivators behind what you do in
14 competition.

15 MR. YAUCH: Organizationally, we looked at it. We
16 sort of said, well, if there's no advantage to you being a
17 regulated utility doing this, or you're not going to have
18 any impact on competition in it, but yet if you did do it
19 in a non-regulated environment, you'd actually have a
20 potential to earn higher income for your parent company.

21 We sort of wondered why wouldn't you do it through an
22 affiliated company. If everything else is equal, why
23 wouldn't you try to get that benefit to Enbridge, rather
24 than try to run it through to ratepayers?

25 MR. MCGILL: Well, I think we see this as an
26 appropriate utility activity. I think that's the main
27 reason and, you know, we are well-positioned to offer this
28 service. I think if others outside of the regulated utility

1 industry were to offer this service, it would look very
2 different, you know, because they would have different
3 motivations with respect to why they're entering this line
4 of business. It might be commodity-driven, have all kinds
5 of different objectives associated with it.

6 So as I said earlier, right now we are not aware of
7 anyone who is offering this service, you know, on a similar
8 basis to the way we're proposing to do it. There are some
9 people that will go out and build facilities for a client
10 that will take those over and run them and operate them
11 themselves. I think there's others from a standpoint of a
12 commodity markets that might approach, you know, these
13 kinds of opportunities in a very different way than the way
14 we're looking at it.

15 MR. YAUCH: Your motivation, if I -- I don't mean to
16 put words in your mouth. But your motivation is that this
17 is an appropriate utility business model and that's why
18 you're doing it?

19 MR. MCGILL: Yes.

20 MR. YAUCH: If we could go to Energy Probe number 2,
21 please. So first off, I've read a lot of IR responses in
22 my life. I don't think they've ever been as thorough as
23 this one.

24 I just have two questions on it. The bottom of the
25 second paragraph to response A, you said:

26 "Enbridge requests the opportunity to make
27 further submissions about this topic before the
28 Board makes any preliminary or final

1 determination on any associated issues."

2 Is Enbridge planning on providing more evidence or --
3 I didn't really understand that comment. Is there more to
4 come, or is this...

5 MR. STEVENS: I think what we were signalling is
6 that -- as you point out, Brady, this is a pretty
7 comprehensive answer and we didn't want the Board to think,
8 though, that this is the sum total of any legal argument
9 that we might make if the Board decided that this was a
10 specific discrete issue that needs to be dealt with.

11 So we have no present intention to supplement this
12 answer, but there may be more that we have to say if this
13 became an issue out at a hearing.

14 MR. YAUCH: The legality of -- or the Board's mandate
15 in relation to this program?

16 MR. STEVENS: Exactly.

17 MR. YAUCH: Okay. Can I ask -- my last question is in
18 the final paragraph -- the second to final paragraph, you
19 say:

20 "Finally, Enbridge asserts that even if the Board
21 should find that it does not have the express
22 jurisdiction to permits, including this," blah,
23 blah, blah, "...it should be permitted on the
24 doctrine of necessary implication."

25 So am I right to interpret that even if you don't
26 think the Board has a mandate -- if it doesn't believe it
27 has a mandate, you believe that the Board has a mandate?

28 MR. STEVENS: I think what we were intending to signal

1 by pointing to the doctrine of necessary implication is
2 that if the Board were to determine that the specific words
3 of the statute do not support these activities, there's
4 still a second argument to be made that a broader
5 interpretation of the statute has to be made to allow such
6 activities, because that's the way that the Board can in
7 fact actuate or bring into practice its statutory aims and
8 the policy expectations of the government.

9 MR. YAUCH: All right. Those are my questions. Thank
10 you very much.

11 MR. QUINN: Yes, thank you and I might -- let's put it
12 this way. I appreciate the panel's answers today. Some of
13 my questions have been answered, but it's created more
14 questions. So if this doesn't flow well, I apologize up
15 front.

16 I'm going to start where Brady left off. This is in
17 Energy Probe number 2 and I was kind of surprised to read,
18 just further down in that, it says -- on page 2, the second
19 full paragraph -- sorry, third full paragraph, the part
20 that is italicized is:

21 "The Board's statement that responsibility of GHG
22 emissions-related gas delivery is an ongoing
23 business obligation of a natural-gas distributor
24 under the Climate Change Act part of the
25 utility's cost of providing distribution service
26 similar to other delivery costs."

27 Now, that is -- and I was obviously quoted -- is from
28 the Board's determination, but is it not true that Enbridge

1 did not support that approach in that same proceeding?

2 MR. STEVENS: I mean, Enbridge may have taken
3 different positions, but Enbridge certainly accepts and
4 governs itself in accordance with the decisions that are
5 ultimately made.

6 MR. QUINN: But -- and thank you, Mr. Stevens. I
7 understand that. But if changes in government and
8 government policy and potentially climate change acts are
9 made, if this is the premise for this service is that
10 because it's part of the ongoing responsibility of a
11 distribution service, like other delivery costs, if this is
12 the premise to say therefore it must be a utility service
13 and is a part of our doing business, do we not lose that?
14 Like, without that reason for being, which may or may not
15 change in the future, we have a 20-year -- you are entering
16 into 20-year agreements that might live beyond those --
17 those words?

18 MR. STEVENS: I think it's fair to say, Dwayne, that
19 where there's specific reliance in the application on
20 specific policies and legislation and then subsequently
21 those policies or legislation change, then they can't --
22 it's fair to say that that's no longer something that can
23 be relied upon.

24 That said, I think at a higher level, as the witnesses
25 explained from the beginning today, that there continues to
26 be, as far as we're aware, a governmental interest and
27 imperative in reducing emissions regardless of cost of
28 carbon questions, and the RNG program is designed to enable

1 the growth of an RNG market that's going to help support
2 those aims being realized.

3 MR. QUINN: Okay, and I know we don't want to maybe
4 deal too much in the hypothetical, but maybe the specific
5 question is: Is Enbridge relying on that statement to say
6 ergo we need to have a rate that is a distribution rate for
7 our service?

8 MR. MCGILL: Well, I think, you know, some of the
9 points we've been trying to make today is that regardless
10 of what happens with respect to carbon pricing in the
11 province of Ontario, there is still a demand for these
12 services in the market we serve and that we believe that we
13 are in a good position to meet that demand and that we
14 brought forward, you know, a reasonable and well thought
15 out proposal which -- in terms of how we intend to meet
16 that demand for these services, so I think that with
17 respect to RNG, as I said earlier, I think the model stands
18 up on its own. As long as there's parties out there that
19 are willing to contract for these services, then I think we
20 should be in a position to provide them.

21 MR. QUINN: Okay, thank you.

22 Earlier today we had -- there was a -- we've had
23 discussions with a number of parties regarding the --
24 specifically the upgrading service, so separating it out
25 and saying we are just talking about the upgrading service,
26 and at different times you've talked about companies,
27 including potentially an affiliate of yours, looking for a,
28 potentially, a higher rate of return, so if -- again, I

1 don't want to put words in your mouth, but Enbridge Inc.
2 were to do this, they might be seeking a higher rate of
3 return; is that correct?

4 MR. MCGILL: They may, depending on what other
5 initiatives an RNG upgrading initiative would be competing
6 with.

7 MR. QUINN: Okay.

8 MR. MCGILL: So, you know, they're looking at other
9 projects across North America or actually worldwide and,
10 you know -- so it would depend on, you know, how the
11 viability of an RNG upgrading project compared to
12 whatever's on the menu at any point in time.

13 MR. QUINN: So that's a competition internally for
14 capital, internal --

15 MR. MCGILL: If we are talking about an Enbridge
16 affiliate, that is the kind of competition for --

17 MR. QUINN: Right.

18 MR. MCGILL: -- capital it would face.

19 MR. QUINN: Right, and so if another party -- and you
20 started down this road just a short while ago, Mr. McGill,
21 in terms of why parties might enter this space to compete
22 for it, and they may or may not, I think was your outcome
23 of what you were saying, they may or may not seek a higher
24 rate of return depending on what their reasons are for
25 entering the market?

26 MR. MCGILL: Yes.

27 MR. QUINN: Okay, now, when you're talking with
28 Mr. Vellone this morning, you were talking about the co-

1 locating of those facilities, and from an engineering
2 perspective that makes a lot of sense. You know, you've
3 got opportunity, and you may have telemetry and other
4 things that it's easier to have the two together.

5 But does that not give Enbridge a competitive
6 advantage, a sustainable competitive advantage, over any
7 other competitor to say, we're going to likely have these
8 upgrading and injection facilities co-located so, as you
9 said yourself, it's going to lower our cost for doing that?
10 Does that not give you a sustainable competitive advantage
11 over another provider?

12 MR. MCGILL: Well, not necessarily. So the upgrading
13 facility is discrete from the injection facility, so I
14 don't see there's any reason why, you know, a third party
15 couldn't come in and provide the upgrading facility and
16 operate it on behalf of a client and then the upgraded gas
17 passes into our injection facility and then goes on into
18 the gas distribution system.

19 So, you know, there may be some savings in terms of
20 building these things on an integrated basis, but we would
21 be working with our customer to do that anyway. You know,
22 you can't just work in isolation when you are trying to
23 build an integrated facility.

24 MR. QUINN: I guess I have an appreciation for that,
25 but from my experience, having one contractor on-site doing
26 two facilities and the facilities are similar valves and
27 the valves go together the same way with the pipe, that, in
28 and of itself, is going to give an opportunity to lower the

1 cost of the two facilities or, in this case here, half of
2 the facility.

3 MR. MCGILL: It may, but again, like, we have to work
4 with the customer, and the customer's not going to go ahead
5 with the project on any basis if it can't be made to work
6 in an economic way, so I think there's elements in the
7 process of negotiating arrangements with the customer that
8 would dictate that these things are built in a cost-
9 effective way.

10 So like I said earlier, there may be some advantages
11 of building these things in a more integrated way, but I
12 don't see that as being significant advantage that we would
13 have.

14 MR. QUINN: Okay. We may disagree at some point, but
15 I'm going to move on. If you establish that the customer
16 is going to move forward if it's economic, and we may or
17 may not agree whether you could do it more economically
18 than company X, Y, Z, but to the extent there is really or
19 perceived benefit from dealing with one party as opposed to
20 two parties, one for upgrading, one for injection, isn't
21 there a risk that while you are trying to spur a market you
22 are actually inhibiting the market development because of
23 the -- how you are rolling the system out?

24 MR. MCGILL: Just give us a moment, please.

25 [Witness panel confers]

26 MS. GIRIDHAR: I don't think that's true, Mr. Quinn,
27 just based on the experience we had. Now, I can't say too
28 much about the RFP that we held recently, but we got some

1 very good responses, and some of those responses wanted to
2 take the upgrading service from us and others did not. So,
3 you know, we went through the process of providing costs,
4 and they presumably could have compared that with whatever
5 it is that they were coming up with, and a number of them
6 were not interested in the upgrading service, so I -- as
7 Mr. McGill explained, I think it really depends, you know -
8 - largely we think municipalities like the notion of
9 getting an upgrading service from us because they like that
10 we take care of it, you know, and as a public utility
11 that's regulated, there is transparency around the costs,
12 it fits with their, you know, their model that the
13 transparency that we provide. There are other private
14 operators that might just be interested in taking an
15 injection service from us. We don't believe it hampers the
16 market in any way. It facilitates the market. It's an
17 enabling service and it's been specifically designed to
18 enable the market.

19 MR. QUINN: Okay, and I appreciate your answer. And
20 again, we may or may not see it the same way, but I'm going
21 to ask one more question in this area.

22 How the service is costed can have a big implication
23 and when Mr. McGill was talking about the retail market,
24 for some of our -- some people in this room had careers
25 that spanned the days of rental water heaters. And to the
26 extent that there's costs allocated differently, whether
27 the service is part of the utility or not part of the
28 utility, that can make a big difference in terms of the

1 value or the price to the customer.

2 So my question specifically is how is Enbridge going
3 to assure the Board that there is a proper allocation of
4 these respective costs, such that the upgrading service
5 isn't somewhat subsidized by the higher cost of the
6 monopoly-required service, the 401 service?

7 MR. MCGILL: Well, I think -- you know, I think the
8 comfort around the way the costs are allocated comes from
9 the way these contracts will be negotiated. So they'll be
10 negotiated with the customer.

11 They will all be site-specific. They will all have
12 different costs. We will be breaking out the cost of the
13 upgrading component and the injection component separately.
14 So there is going to be a full view to what those -- what
15 the rates for each of those two services are covering in
16 terms of cost recovery.

17 So that's all broken down and, as Malini said, it is a
18 very transparent process. It is a cost of service
19 calculation, so that, you know, our customer can see
20 exactly what's going into it in terms of capital cost,
21 operating cost, our returns, et cetera.

22 So the whole process is transparent from the
23 customer's standpoint, and I think that should satisfy any
24 concerns as to how we're allocating costs to these things.

25 MR. QUINN: Would the Board see those costs. You
26 mentioned earlier that a number of these would have a leave
27 to construct. It would only be when there is a pipeline
28 added and it creates a leave to construct, will the Board

1 see these costs?

2 MR. MCGILL: Well, they certainly would in the
3 situations where there's leave to construct. You know in
4 terms of the application of the -- so the guidelines around
5 when a leave to construct is required, I think the capital
6 cost of these facilities would, in most cases, require some
7 form of leave to construct application. So I think the
8 Board would see most of that.

9 It's hard for me to imagine situations where they
10 wouldn't. And I think, in any case, the Board would always
11 have the authority to look at what we're doing and
12 understand the cost associated with these services, in any
13 case.

14 MR. MONDROW: Dwayne, if you are going to leave this
15 topic --

16 MR. QUINN: I was about to, Ian. Go ahead, proceed.

17 MR. MONDROW: Just while we're on it, Steve, you don't
18 need a leave to construct for the upgrading facilities that
19 you are proposing?

20 MR. MCGILL: Well, I think that's something we haven't
21 really decided as of yet.

22 I'm trying to think of the -- there's the four
23 criteria for a leave to construct and one is the pipe size,
24 one is the capital cost is 2 million, one is the operating
25 pressure and there's four -- the length of the pipe.

26 So I think where we could find ourselves having to go
27 to a leave to construct on these things is on that
28 \$2 million cost item.

1 MR. MONDROW: All right. And in the leave to
2 construct then, do you intend to present evidence of how
3 overheads, utility overheads are allocated into the price
4 that -- or the rate that you are recovering, or propose to
5 recover from the customer?

6 MR. MCGILL: Well, I think we would be showing the
7 costs that are allocated to the project, yes. So, you
8 know, in terms of the degree of detail in terms of how we
9 go through the cost allocation process, that's something we
10 do as a regular part of our business today with respect to
11 costing affiliate transactions, or things of that nature,
12 and we have processes in place to determine those allocable
13 costs that are consistent with the Affiliate Relationship
14 Code.

15 So we would be using that is the guideline on which we
16 would allocate costs to these projects.

17 MR. MONDROW: That's fair enough. When you answered
18 Dwayne's questions, you talked about transparency to your
19 rate 400 or rate 401 customers.

20 The issue that some of us are concerned about, I think
21 -- and I think the Board would be concerned about is the
22 avoidance of a subsidy from ratepayers. And it's the Board
23 on behalf of ratepayers that would need to see you are
24 recovering all the costs related to that activity from the
25 customers of that activity.

26 You would be prepared to demonstrate that in these
27 proceedings, presumably.

28 MR. MCGILL: Yes, we would.

1 MR. MONDROW: Okay, thanks.

2 MR. QUINN: I will move to a slightly different topic.
3 We were talking about Hamilton earlier and I think it might
4 have been said, but my understanding is that Hamilton uses
5 a lot of its production of renewable natural gas for
6 cogeneration and on-site usage. Is that your
7 understanding?

8 MR. CHAGANI: I don't think that's my understanding.
9 My understanding was that they used a lot of their raw
10 biogas for cogeneration than, or for -- I think they have a
11 bio fit contract or something along those lines -- and then
12 the excess is turned into RNG and brought to market.

13 MR. QUINN: That's said better than I did, and thank
14 you. So they're using the raw biogas, but obviously the
15 injection facility we're talking about -- that's Union's
16 facility that would be comparable to your injection type of
17 facility. But that upgrading; is the upgrading required
18 for them to use that biogas for their own usage?

19 MR. CHAGANI: I'm not familiar with the way -- like,
20 what the processing of the biogas is. But from my
21 understanding, if it's a wastewater treatment plant, there
22 would be some level of -- I guess...

23 MR. QUINN: Cleaning?

24 MR. CHAGANI: Well, it's not really cleaning. There
25 is a preparation step before you can push it towards the
26 on-site generator.

27 MR. QUINN: Okay. So you are not that familiar with
28 it then?

1 MR. MCGILL: I think, just to be clear, it would
2 depend on what the city wants to use the product they're
3 producing for.

4 MR. QUINN: Um-hmm.

5 MR. MCGILL: So if they are using the raw biogas to
6 meet their requirements under, you know, a FIT contract,
7 then that gas would require little upgrading in order to be
8 used in a generator to satisfy those needs.

9 But let's say they wanted to take the excess biogas,
10 convert it into pipeline quality RNG to fuel -- to provide
11 as a heating fuel to another building in the city, then it
12 would have to go through the upgrading and injection
13 processes as we've described earlier.

14 So I think it's up to, in that case, that customer of
15 Union to decide, you know, what they want to do with the
16 gas and how they optimize that operation for their own
17 benefit.

18 MR. QUINN: It would come down then to the economics
19 of they've got a potential feedstock and do they use it
20 themselves, do they refine it for distribution utilization
21 for themselves or for somebody else?

22 MR. MCGILL: Yes.

23 MS. GIRIDHAR: And I understand that Hamilton also has
24 RNG for its transit, some of their buses, the Hamilton
25 Street Railway, I think they call it.

26 MR. QUINN: But is it your understanding that they are
27 using gas that they have injected into Union Gas' system
28 for the purposes of those buses?

1 MS. GIRIDHAR: I don't know that. I just know that
2 they produce RNG and they also have CNG buses.

3 MR. QUINN: Okay. And looking at this from the why
4 would we do it and the spurring of the market, you've got
5 an organization -- and Ms. DeMarco went through this with
6 you this morning -- in separating who's getting the
7 benefits.

8 You're getting -- the term that was used was
9 substitution benefit. The producer is getting the
10 opportunity for an offset benefit.

11 MR. MCGILL: Right.

12 MR. QUINN: So that would reside in the -- in this
13 case here, I'll stay with the municipality. I won't use
14 Hamilton per se, but let's say it's a municipality in that
15 system.

16 They're getting an offset benefit based upon -- based
17 upon a capturing of potentially fugitive methane that is
18 not either going into the environment or having to be
19 flared; is that your understanding?

20 MR. MCGILL: Yes, that's part of what creates that
21 value.

22 MR. QUINN: So Enbridge would potentially -- and I
23 won't say lose out on, but you would not get the
24 substitution benefit unless that was injected into your
25 system.

26 MR. MCGILL: Yes, in order to get the substitution
27 Benefit, the gas has to be injected into our gas
28 distribution system.

1 MR. QUINN: Right, so there has to be a value
2 proposition that would say what the incremental cost of
3 upgrading -- whatever incremental upgrading is necessary
4 and the injection to cover the value of your substitution
5 benefit.

6 MR. MCGILL: Well, I think -- you know, as we talked
7 about earlier, there is different categories of those
8 benefits, so there's the direct substitution benefit and
9 then there's the benefit that would come from generating
10 offsets or RINs or other carbon abatement instruments,
11 let's call them, and those would rest with that RNG or the
12 biogas producer.

13 MR. QUINN: Right. And so I was struggling with this,
14 and Mr. Mandyam just left, but I was asking him for a
15 reference of what the cost is, you know, in terms of
16 abatement opportunity that is associated with, you know,
17 that -- the substitution benefit, and the best -- I
18 couldn't find it in your evidence, so the best evidence we
19 had was actually out of their most recent carbon cap
20 proceeding, and it was a Union Gas undertaking, so I'm just
21 using these numbers for illustrative; I'm not asking you to
22 even accept them subject to check, but in JT1.25, which I
23 forwarded to Bonnie, to Mr. Mandyam, to Joel here also,
24 there is a table which we asked unit break out, based upon
25 the assumption -- and it's up above there -- sorry, Ms.
26 Adams -- this is all based upon \$16 a gJ, which was thrown
27 out in the carbon cap proceeding, to say, okay, so what is
28 the cost of this abatement relative to a purchase price,

1 assuming a \$16 per gJ RNG cost?

2 So using these numbers, again, to be somewhat in the
3 ballpark, if it's \$16 is the number, as an abatement cost
4 in year 1 -- and just focusing on year 1 for the moment,
5 because it is illustrative, but the compliance cost,
6 without government funding, that compliance cost would be
7 \$240 per tonne. Do you see that there at the line E?

8 MR. MCGILL: Yes, I see that.

9 MR. QUINN: Okay. So I'm trying to understand, has
10 Enbridge analyzed this opportunity that you are getting the
11 substitution benefit and what the relative cost of the
12 incremental facilities for a wastewater treatment plant to
13 inject in your system, what are they -- they are getting
14 the opportunity to inject into the system; you are getting
15 a potential offset, but the offset cost looks like it's in
16 the order of \$240 per tonne, and that -- when we don't have
17 the marginal cost curve and that's not what this proceeding
18 is about, but that's a relatively high cost even in
19 comparison to the current cost of carbon in Ontario today.

20 So I'm just trying to understand the analysis that's
21 gone into the value proposition of moving gas into your
22 distribution system for, in this case, marginal benefit, at
23 what would likely be a substantive cost?

24 MR. MCGILL: But that is not a cost for the company,
25 so that substitution benefit, that's derived as a result of
26 the GHG reporting requirements we operate under which
27 dictate the number of carbon allowances we have to buy, so
28 that benefit accrues to our ratepayers regardless of what

1 this production cost of the RNG is.

2 So in order -- you know, if the \$240 a tonne -- and I
3 don't know if that's equating to the \$16 a gJ they
4 reference in the other part of the interrogatory
5 response -- then if somebody is willing to pay the \$16 per
6 gJ for the RNG anywhere in North America, then you've got a
7 business model that makes sense.

8 And so when we went through our procurement model we
9 said, well, if we pay \$16 per gJ for RNG, that's going to
10 mean our gas costs are going to increase to the extent we
11 bring RNG into the system, say, call it by \$10 a gJ
12 compared to what it might be today.

13 We said, well, that's not going to be acceptable, so
14 we went to the government and we sought GreenON subsidy
15 money to basically make up that \$10 difference in terms of
16 ballpark numbers, so that was what that model was premised
17 on, but to come back to my earlier point, that as long as
18 someone in this -- like, under this example is willing to
19 pay that \$16 a gJ for the RNG, the RNG producer has a
20 business.

21 MR. QUINN: Okay.

22 MR. MCGILL: And that might not necessarily be
23 Enbridge Gas Distribution paying \$16 a gJ for it.

24 MR. QUINN: I am trying to follow the questions that
25 you are creating in your response, so I'll do them reverse
26 chronological.

27 If it's not a purchase -- if they can't find a buyer
28 at \$16 a gJ because that is simply put out of the market

1 for what natural gas is these days, then they -- their
2 value propositions which they're going to have to do their
3 own economics on is going to have to say if I can't find a
4 buyer for that then I'm going to have to use it myself as
5 potential.

6 So is Enbridge using some of its knowledge
7 capabilities or technology to assist customers in doing
8 this analysis of what their costs are for using it
9 themselves versus finding a way to get it into the
10 pipeline?

11 MR. MCGILL: Well, I think in terms of consulting with
12 a customer, we might have some discussions with them along
13 that line.

14 So if you had a -- say if it's a municipality and --
15 city of Toronto, they probably have 500, a thousand
16 building sites across the city where they could use the
17 gas, so we would have discussions about -- with them
18 potentially to say, well, okay, if you're not going to sell
19 that RNG in the market or strip off the offsets, et cetera,
20 and sell those separately in the market, you know, so how
21 could we help you get that gas to those locations, we could
22 enter into that gas transportation agreements or figure out
23 a way to supplement existing gas distribution or
24 transportation agreements, they introduce that supply to
25 help them make it work.

26 MR. QUINN: But you're --

27 MR. MCGILL: They're not consulting with customers as
28 to the economics of their RNG business.

1 MR. QUINN: Fair enough, so I'll leave that line,
2 because I wasn't asking if you could help them get it to
3 their other sites, I understand that, but using it on their
4 own site, reducing the amount of investment, that's going
5 to be their decision.

6 The other part you said before was, so, you know, you
7 didn't want to take it into your portfolio at \$16 a gJ, and
8 we're thankful for that, but you said -- but you sought the
9 GreenON money to reduce the impact on customers, but would
10 you agree with me that those same customers are paying for
11 carbon cap costs which fund the GreenON funds?

12 MR. MCGILL: Well, the way I looked at that part of
13 the situation was is that that hundred million dollars was
14 a vehicle to return some of the money they had paid towards
15 carbon allowances through their gas bills.

16 So to me I saw that as a real benefit to our customers
17 that, here, you're getting at least 100 million back, or
18 between us and Union \$100 million back of the money that
19 you've paid for carbon allowances through paying your gas
20 bill, so I thought that was a positive thing.

21 MR. QUINN: And I don't want to get into the
22 compliance debate. I think this would end up being
23 argumentative. I'm just -- when I look at the \$240 that's
24 here as compliance cost without government funding, that is
25 a significant cost relative to other options on your
26 marginal abatement cost curve, correct?

27 MR. MCGILL: Right, but this isn't an option that we
28 are pursuing in terms of meeting our carbon abatement

1 goals.

2 MR. QUINN: Okay. Well, I guess I --

3 MR. MCGILL: So if it's someone in California is
4 willing to pay the \$240.67 tonne-equivalent, then there is
5 an opportunity for somebody to produce that RNG in Ontario
6 and sell it to them and potentially make money on it.

7 MS. GIRIDHAR: So maybe I can just provide a little
8 bit more perspective as well, you know. I guess it's not
9 for us to figure out what are the motivations of somebody
10 willing to pay \$16 per gigajoule for a fuel that they could
11 procure at \$3 or \$4 or \$6 per gigajoule.

12 Presumably the carbon abating value is significant
13 enough that they want to pay \$16 per gigajoule, but I just
14 wanted to -- you know, if you are an entity that wants to
15 abate carbon and you don't look at RNG, you would be
16 looking at renewable electricity in today's world, because
17 those are the two alternatives you would have in front of
18 you.

19 So natural gas, pure natural gas, is landed at
20 something like 3 cents per kilowatt hour. Electricity in
21 Ontario is 12 cents per kilowatt hour. The reality is,
22 even if you paid \$16 per gigajoule for RNG, it would be a
23 lot cheaper than renewable electricity in your portfolio.

24 So I think it is not for us to judge people on their
25 carbon abatement decisions, but if parties want to abate
26 carbon and are looking for cost-effective solutions and
27 want to procure it at \$16 per gigajoule, then I think we're
28 in the business of helping them do that. And we also know

1 it makes sense relative to other alternatives they are
2 facing.

3 It is certainly cheaper with full-scale
4 electrification with renewable energy, if that's what the
5 entity is looking to do. So for a number of reasons -- and
6 plus, of course, you also get storability with this product
7 that's \$15 or \$16 a gigajoule. It can be stored year-
8 round, it can be stored seasonally; that is not the case
9 with renewable electricity.

10 For a number of reasons, RNG makes sense, our
11 customers are telling us it makes sense, and just the
12 physics and economics of energy distribution in Ontario
13 tells us it makes sense.

14 MS. DeMARCO: I wonder if I could help, because I
15 think there is confusion as to what you're paying for and
16 proposing and what you're not.

17 So in relation to the direct emission reductions, i.e.
18 the RNG itself, if you could possibly explain what you
19 intend to do there versus the substitution emission
20 reductions and how you calculate that on the basis of
21 avoided compliance costs.

22 MS. GIRIDHAR: There is no carbon costs included that
23 are being paid for by our ratepayers in any of this, unless
24 we have an RNG procurement plan that is paid for
25 ratepayers.

26 That is not the proposal in front of you. What is in
27 front of you is an RNG enabling program where we charge any
28 project proponent who wants to take the service from us the

1 full cost of taking the service over the life of the
2 contract that they have with us. And we have an inter-
3 temporal debit or credit, depending on what the revenue
4 requirement is relative to that levelized cost.

5 Anything else that we do on top of that is not the
6 subject of this proceeding.

7 MR. QUINN: Do you have anymore questions?

8 MS. DeMARCO: No.

9 MR. QUINN: We're not going to go any further. I
10 wasn't going to bring up renewable electric, but...

11 MS. GIRIDHAR: Well, no, you were wondering what the
12 \$16 is and the 200 and whatever -- \$223, \$240 per done.
13 Like I mean that's what it is. I mean, people have to
14 understand what is their cost of abating carbon, so I'm
15 just trying to explain what might prompt somebody to pay
16 \$240 per ton by using RNG. They would do it because their
17 next best alternative is more than \$240 per ton.

18 MR. QUINN: In Hamilton's case -- and I haven't
19 studied it completely and it's not on the record here, but
20 they have been doing it a number of years and generating
21 their own electricity renewably.

22 But they are using that biogas differently and with
23 less -- as I'm understanding -- less of a need to have the
24 upgrade/injection facilities.

25 So that put aside, I'm going to focus back and use the
26 word "facilities" because there's something that was said
27 earlier about the life of these facilities is 20 years.

28 I'm struggling with that, having designed and built

1 stations before, those -- the valves -- the meters may have
2 to be switched out after 20 years, but the valves, the
3 filters, the main piping, in your own metering stations for
4 your customers, they are given a lot longer life.

5 Why are the systems that are being put in place for
6 RNG service having a substantially shorter life?

7 MR. CHAGANI: So what Steve was referring to earlier
8 is the actual upgrading sites. So the upgrading sites,
9 from our discussions with manufacturers, is that they have
10 a life of 20 years.

11 Now, the second piece is the injection site and you're
12 saying, well, why are you also mirroring the injection site
13 with 20 years? Steve also mentioned that the EBO 188 for
14 industrial customers has a maximum feasibility period of 20
15 years, so we are using that same framework. So we should
16 therefore use the same feasibility timeline.

17 So even though an industrial customer -- yes, you're
18 right, the meter may last longer than 20 years. When we
19 run the feasibility, we use a maximum of 20 years.

20 MR. QUINN: Okay. So it's not the service life of the
21 equipment in your injection facility?

22 MS. GIRIDHAR: Economic life.

23 MR. MCGILL: I think it happens to be a coincidence
24 that the physical life of the upgrading facility equals 20
25 years, which is the maximum feasibility period that we have
26 in EBO 188 for an industrial customer feasibility test.

27 MR. QUINN: Well, maybe I misunderstood your answer
28 Before. I thought you were talking about the service life,

1 and it may have only been pertinent to your upgrading
2 facilities. So that's better clarity now, thank you.

3 I'm watching the time here, so I'm just going to move
4 to FRPO.5.

5 MR. RUBENSTEIN: Could I ask a follow-up?

6 MR. QUINN: Yes, sorry. Go ahead.

7 MR. RUBENSTEIN: Dwayne was asking about the length of
8 time in the life of the asset.

9 MR. MCGILL: Yes.

10 MR. RUBENSTEIN: So say you enter into a 20 year --
11 the normal depreciation time for the assets is, say, 40
12 years, just as an example. And the contract length is
13 going to be different than necessarily the depreciation
14 time.

15 Are you then going to depreciate these specific assets
16 to match the contract length, or are you just going to
17 depreciate them as they normally would?

18 MR. MCGILL: We will set the depreciation rate to
19 match the contract life.

20 MR. RUBENSTEIN: Okay. So that means you will have to
21 segregate in your depreciation schedules each individual
22 customer's assets in their contract?

23 MR. MCGILL: Yes.

24 MR. QUINN: On FRPO 5 -- and again, earlier we
25 separated this idea of offset benefit versus substitution
26 benefit. And so the response that was heard in context
27 earlier was that this guideline for quantification
28 reporting of greenhouse gas emissions, the Ontario

1 regulation 400, that is quantifying the substitution
2 benefit; is that correct?

3 MR. MCGILL: Well, it's the regulation that, I guess,
4 supports the substitution benefit is, you know, the best
5 way I can describe it.

6 It's the reporting regulation that supports the
7 substitution benefit.

8 MR. QUINN: And you're familiar with it because it is
9 attached to the original undertaking here that Union had
10 offered some support for that view from the inter-
11 governmental panel on climate change? It was attached to
12 the original interrogatory. The reference is the AG
13 Exhibit JT124.

14 [Witness panel confers]

15 MR. MCGILL: I don't have the reference that you are
16 referring to here.

17 MR. QUINN: I want to be fair to the panel, and I
18 thought you might have had that because it was specific and
19 was used in the carbon cap compliance proceeding.

20 But the premise that Union had pointed out was that
21 biomass was -- combustion biomass was considered carbon
22 neutral because the biomass re-grows.

23 And our question has been and continues to be: How
24 does that work for a wastewater facility in a municipality?

25 MR. MCGILL: Typically in a wastewater facility, the
26 methane that is produced as a result of treating the
27 wastewater would typically be captured and, in most cases,
28 flared. So you are destroying the methane by flaring it

1 and, as a result of that, you are emitting CO2 into the
2 atmosphere.

3 If you capture that methane and upgrade it into RNG
4 you're, one, avoiding having to flare that gas and turning
5 it into a useful product.

6 So in terms of the reporting regulation, when it was
7 derived, the province determined that when we report our
8 RNG -- or pardon me, GHG emissions that result in our
9 allowance requirement, it is reduced by that amount of RNG
10 or renewable fuel that we bring into the system.

11 So basically it comes down to just the way the
12 regulation is written.

13 In terms of establishing what the offset value is for
14 RNG, it would differ, based on different sources of
15 feedstock.

16 So something like agricultural waste, where the
17 methane is venting directly into the atmosphere and it is
18 typically not captured and destroyed, RNG derived from that
19 kind of feedstock would have a higher offset value than
20 RNG, let's say, derived from a landfill site --

21 MR. QUINN: Because you are talking about fugitive
22 emissions and the impact of methane being higher than
23 carbon, so your prime premise then on the wastewater
24 treatment plant is the presumption that it is all flared.

25 MR. MCGILL: Okay. So it would vary from one
26 wastewater treatment to another. Some have open lagoons
27 where the methane is just going straight into the
28 atmosphere. If you were to capture that, I would suggest

1 that would create a higher offset value than a situation
2 where the methane is being flared today, and that would
3 vary from site to site.

4 MR. QUINN: So it is going to vary from site to site,
5 but in the case of Hamilton, as an example, a municipality
6 that's going to benefit from RNG, they can do things on-
7 site to increase the amount of methane that they can
8 extract from their plants; correct? So --

9 MR. MCGILL: Yes, to some extent, yes.

10 MR. QUINN: Okay. So I understand your premise now.
11 It is helpful to hear that answer on the basis of flaring
12 for the first time, but I guess my concern is more broad
13 than just your application, it is the regulations, and
14 we'll have to take that in a different venue, so I'm
15 satisfied with your answer, Mr. McGill. I will just take
16 it as that for now and move on so others can have some
17 time.

18 MR. MCGILL: Okay, thank you.

19 MR. QUINN: Thank you.

20 MR. MURRAY: Mr. Mondrow, would it be good for you to
21 go now, or a break, I think.

22 MR. MONDROW: I'm happy with a break.

23 MR. MURRAY: Are you ready to go?

24 MR. MONDROW: Yes.

25 MR. MURRAY: Okay. Let's go ahead. Let's try and get
26 through one more. Do you guys need a break? Do you guys
27 want to take a break?

28 MS. GIRIDHAR: No, we'd like to get through it.

1 [Laughter]

2 MR. STEVENS: The question is whether we can get
3 through Mr. Mondrow and whether both Ian and Mark can get
4 done in time now if everybody can survive without a break.
5 If we're going to take a break anyway now is a good time.

6 MR. MONDROW: I don't know. I'm not going to promise.

7 MR. STEVENS: Are you --

8 MR. MONDROW: I'm more than five minutes, less than an
9 hour. I put down 30 minutes.

10 MR. STEVENS: Between the two of you I think you've
11 got almost an hour.

12 MR. MURRAY: I guess the question is over and under.
13 Are you expecting to be here 30 minutes --

14 MR. MONDROW: Why don't we just take a five- or ten-
15 minute break. I don't know. I mean, I had a brilliant
16 series of questions this morning. It is a little foggier
17 now. So I really can't -- sorry. I am going to be 20 to
18 30 minutes, I think, is my guess or --

19 **EXAMINATION BY MR. MONDROW:**

20 We'll go with the court reporter's preferences. Let's
21 go 'til 3:30.

22 All right. Let me start with something -- I think you
23 said -- one of you said off the top -- you said absent the
24 cap-and-trade framework Enbridge Gas Distribution will seek
25 a variance account. And my question is to capture what?

26 MR. MCGILL: It would be to capture the revenue
27 deficiencies and sufficiencies over the life of these
28 contracts.

1 MR. MONDROW: Okay, and how is that different from
2 what you're proposing to do with the cap-and-trade
3 framework in place?

4 MR. MCGILL: Well, the only real difference is that
5 under the cap-and-trade framework we have an existing
6 customer GHG variance account.

7 MR. MONDROW: Okay.

8 MR. MCGILL: So these deficiencies and sufficiencies
9 would probably be small entries into that larger variance
10 account where, if we lose that variance account as a result
11 of the wind-up of cap-and-trade, then we would seek for
12 a -- to have a dedicated variance account with respect to
13 this program set-up.

14 MR. MONDROW: Okay, thanks.

15 Earlier, Steve, I think I asked you whether the
16 benefit of the avoided carbon compliance costs in respect
17 of RNG applies whether or not the RNG is consumed in the
18 province or out of the province, and your answer was it
19 doesn't matter whether it's consumed in the province or out
20 of the province.

21 MR. MCGILL: With respect to that substitution value
22 that's derived as through the GHG reporting requirements we
23 operate under.

24 MR. MONDROW: Okay, and I wonder if you could simply,
25 by way of undertaking, provide the specific reporting
26 regulation provision that makes that clear.

27 MR. MCGILL: Yes, yes, we can do that.

28 MR. MONDROW: Okay. Thank you.

1 MR. MURRAY: That will be Undertaking JT1.14.

2 MR. MCGILL: We may already have that in an earlier
3 undertaking, but --

4 MR. MONDROW: Okay.

5 MR. MCGILL: -- one way or another we can --

6 MR. CHAGANI: It's within -- it's one of the
7 requirements of JT1.2 already.

8 MR. MURRAY: Okay, then we will remove that
9 undertaking. It will be included as part of JT1.2.

10 MR. MONDROW: Okay, thanks.

11 Malini, I think you've said this a couple of times,
12 but we all agree, I believe, that the -- well, let me back
13 up. You've referred to a nascent market, I think you
14 referred to that in an undertaking -- at least one --
15 sorry, at least one interrogatory response, probably
16 more -- I think you referred to it this morning. What
17 market are we talking about? Are we talking about an RNG
18 market or are we talking about an upgrading services
19 market?

20 MS. GIRIDHAR: I think they're both nascent.

21 MR. MONDROW: Okay. And is the nascency of the
22 upgraded services market one of the rationales that you
23 offer for the appropriateness of EGD providing the service
24 you requested approval for?

25 [Witness panel confers]

26 MS. GIRIDHAR: No. I mean, we are calling it an RNG
27 enabling program, so we believe it's helpful to the market.
28 It helps bring more RNG into the market. The construct, as

1 well, though, is there's an optional service, so to the
2 extent that an RNG producer is motivated to bring RNG as a
3 result of the service, that's great. If they feel they
4 could do it without the service, that's fine too.

5 MR. MONDROW: Okay. And it helps bring more RNG into
6 the market, I think you said, because -- Steve said this
7 this morning -- you can do it at a lower cost than others
8 can do it, you believe?

9 MS. GIRIDHAR: To be clear, you know, we don't believe
10 that there are competitors at this point.

11 MR. MONDROW: We'll get to that, but you did say you
12 have a lower cost of capital and that's an advantage in
13 terms of facilitating this market?

14 MS. GIRIDHAR: We believe that for Enbridge to
15 facilitate this market it makes sense to do it as a
16 regulated activity because we have the benefit of a lower
17 cost of capital --

18 MR. MONDROW: Okay. And --

19 MS. GIRIDHAR: -- than outside of regulation.

20 MR. MONDROW: Right. And Steve, you talked earlier
21 with others about the level of return required. And it's
22 up to a provider of the service to determine what level of
23 return they want in offering the service. People are free
24 to pick a level of return.

25 But it's true, isn't it, that EGD has a lower cost of
26 capital and a lower return on equity because it's got a
27 lower risk than a non-regulated company, and it's got a
28 lower risk because it's regulated.

1 MR. MCGILL: I think that's the standard thinking,
2 that --

3 MR. MONDROW: Might not feel that way sometimes,
4 but...

5 MR. MCGILL: That utilities, regulated utilities,
6 typically face lower risk than competitive business and
7 that, you know, that's probably the case.

8 MR. MONDROW: In the Enbridge group the return
9 required by your shareholder from the utility is lower than
10 the return required by your shareholder from unregulated
11 activities; right?

12 MS. GIRIDHAR: Correct.

13 MR. MCGILL: For the most part, yes.

14 MR. MONDROW: And what's the spread, do you know?

15 MR. MCGILL: It would vary from one initiative to the
16 next based on the assessment of risk associated with each
17 of those initiatives.

18 MR. MONDROW: Is it true that the cost of the
19 utility's debt is lower than the cost of debt for
20 Enbridge's unregulated businesses generally?

21 MR. MCGILL: I'm not sure with respect to the cost of
22 debt because we have our own debt issues and I'm not sure
23 how that would compare to the overall level or the cost of
24 debt that Enbridge Inc. incurs at a corporate level.

25 MR. MONDROW: You are not sure --

26 MS. GIRIDHAR: We rely on the expertise of our
27 treasury group. We take our projects to them, as does
28 everybody else, and then they decide what the cost of

1 capital is for a project based on an assessment of the
2 risks associated with the project.

3 MR. MONDROW: And you don't agree that historically
4 the cost of debt for EGD is lower than the cost of debt for
5 an unregulated Enbridge business; that has not been your
6 experience?

7 MR. MCGILL: There is a difference between cost of
8 capital and cost of debt --

9 MR. MONDROW: I understand that. I asked you about
10 cost of capital and the cost of debt.

11 MR. MONDROW: I understand that. I asked you about
12 cost of capital, and now I'm asking...

13 MR. MCGILL: In terms of cost of debt, I don't know
14 because of the way the company is financed. But in terms
15 of the cost of capital that would be required from one
16 initiative to the next, that would be different and, you
17 know, in my experience, that's usually driven by
18 considerations around equity returns, not so much by a cost
19 of debt.

20 MR. MONDROW: Okay, thanks. I think somewhere in the
21 interrogatory responses you talked about the advantage of
22 your customer relationships in making people feel
23 comfortable with you providing an upgrading service. Is
24 that correct?

25 MS. GIRIDHAR: Yes.

26 MR. MONDROW: And similarly, they trust your brand as
27 one of the selling features?

28 MS. GIRIDHAR: Yes.

1 MR. MONDROW: All right. Thank you. Something that
2 you talked about earlier was the fact that you only have
3 one customer for whom you inject gas. We talked about that
4 already. I interjected and asked you a question.

5 Union, of course, has a number producers that inject
6 gas. Do you know if they have -- I just don't know the
7 answer. Do they have an injection service and a dedicated
8 rate for that, they being Union Gas?

9 MR. MCGILL: Union Gas has a rate. It's their M13
10 tariff, which is a wheeling rate, just basically to move
11 gas from point A to point B. And that's what they apply
12 with respect to local production that -- you know, I'm not
13 sure to what extent Union actually procures local
14 production, but I know that they use M13 for their wheeling
15 rate.

16 With respect to the facilities to take that gas into
17 their system, I believe they charge the customers for that,
18 like up front, in order to construct those facilities.

19 MR. MONDROW: Okay, thanks. We've talked about the
20 city of Toronto a couple of times. They are the only
21 potential customer of these services with whom you
22 currently have an agreement in place, as I understand it.
23 Is that correct?

24 MR. MCGILL: That's correct.

25 MR. MONDROW: And I think you said earlier, Steve,
26 that you're aware of another one or two projects, upgrading
27 projects?

28 MR. MCGILL: Yes, the City of Toronto has potential

1 projects and we've had discussions with other GTA
2 municipalities, principally Durham and Peel.

3 MR. MONDROW: Are they at the stage of projects, or
4 are they just interested in the concept?

5 MR. MCGILL: We're at the discussion phase with them.

6 MR. MONDROW: Early?

7 MR. MCGILL: Yes.

8 MR. MONDROW: Okay. You're aware of the Niagara RNG
9 project by the Walker environmental group landfill?

10 MR. MCGILL: Yes, we have some knowledge of that.

11 MR. MONDROW: And am I correct that they are planning
12 to self-perform the cleaning function -- sorry, the
13 upgrading function.

14 MR. MCGILL: I'm not sure -- they are undertaking --
15 they are taking on the responsibility for the upgrading
16 function. I'm not sure exactly how they are going to go
17 about doing that.

18 MR. MONDROW: Okay. Are they about shovel-ready, do
19 you think?

20 MR. MCGILL: I don't know. I wouldn't think that
21 they're that close at this point in time, but I think that
22 they're probably in design phase and trying to determine,
23 you know, equipment providers and things of that nature.

24 MR. MONDROW: Do you know if they are going to use the
25 RNG for themselves, or are they going to inject it into
26 your system? Do you know what they plan to do with it?

27 MR. MCGILL: I believe it's going to be injected into
28 our system.

1 MR. MONDROW: There is a Storm Fisher Environmental
2 Ltd. project near London, Ontario. Are you aware of that
3 one?

4 MR. MCGILL: I'm aware of that facility; that facility
5 has been in place for some period of time.

6 MR. MONDROW: That facility being a landfill of some
7 sort?

8 MR. MCGILL: Yes, it's an anaerobic digest.

9 MR. MONDROW: Okay, sorry. Producing biogas?

10 MR. MCGILL: Producing biogas, yes, and I believe they
11 have a FITT contract for electricity production and my
12 understanding is that they are looking at expanding that
13 facility to add some potential to create renewable natural
14 gas.

15 MR. MONDROW: Do you know if they are planning to
16 either self-perform or assume responsibility for the
17 upgrading function?

18 MR. MCGILL: I don't know the details of that
19 arrangement. That facility is in -- located in Union's
20 service territory, so they would be having discussions with
21 Union Gas along that line.

22 MR. MONDROW: Okay. That actually raises another
23 question -- I'll come back to the other question.

24 So we've talked about Toronto, Niagara, Storm Fisher,
25 some municipalities which are in discussion stages, and
26 you've mentioned the names of those.

27 Are there any other projects that you're aware of for
28 upgrading biogas to RNG?

1 MR. MCGILL: Yes, I think there's other parties we've
2 spoken to, apart from municipalities, that have an interest
3 in pursuing RNG production.

4 MR. MONDROW: They would be also in the early --
5 conceptual, early stages?

6 MR. MCGILL: Yes.

7 MR. MONDROW: Have any of those other projects
8 indicated that they will do the upgrading, or could do the
9 upgrading on their own?

10 MR. MCGILL: I don't know that we're far enough along
11 in those discussions. As Milani indicated earlier, through
12 the RFP for RNG procurement, we did get a sense as to --
13 that some parties were interested in us performing the
14 upgrading service for them, and some parties were
15 interested in taking that responsibility on themselves.

16 So there was a bit of a mix there.

17 MR. MONDROW: Okay. You've said that if you perform
18 the upgrading service -- Mr. Chagani, this might have been
19 you -- you are actually going to procure the equipment from
20 third parties. Is that right?

21 MR. CHAGANI: From the manufacturers of the equipment,
22 yes.

23 MR. MONDROW: Are you going to do the construction and
24 installation with Enbridge people, or are you going to
25 contract that out?

26 MR. CHAGANI: It would probably be a combination of
27 both, depending on what activities Enbridge would do and
28 what activities our contractors would do. But we would be

1 utilizing our contractors in the same fashion we do for our
2 pipelines and we would also have on-site PSIs, which are
3 which are inspectors. We would have our project managers,
4 et cetera.

5 MR. MCGILL: We would be project managing all of these
6 projects.

7 MR. MONDROW: And the engineering work, you said, I
8 think, you would go to outside engineers experienced in
9 these facilities?

10 MR. MCGILL: And they're working with our own internal
11 engineering staff as well.

12 MR. MONDROW: Okay. And you would include all of your
13 third-party contractor costs in the calculation of the rate
14 400 agreement with the customer, presumably.

15 MR. MCGILL: In terms of determining the rate 400
16 rate, yes, we would. We would be seeking to recover all of
17 the capital costs associated with the installation of a
18 facility.

19 MR. MONDROW: And have you considered at all the
20 concept that we see in respect of connection of
21 electricity, either load or generation systems -- the
22 concept and the distribution system code of contestability,
23 which defines what work the customer can get competitive
24 bids on and what work they're required to contract for with
25 you?

26 MR. MCGILL: We haven't considered anything along that
27 line.

28 MR. MONDROW: Okay. Just on the city of Toronto, I

1 think you've said this, but I just want to make sure.

2 So the city of Toronto plans to use the RNG in their
3 own operations is your understanding?

4 MR. MCGILL: We don't particularly know. I know in
5 the early stages, we were led to believe that that was
6 their desire. And then as we move through the process of
7 negotiating with them, I think they started to explore
8 other alternatives. But I don't have any direct knowledge
9 of what they might be considering at this point in time.

10 MR. MONDROW: But in any event, they plan to deliver
11 the RNG to your system and you will convey it on their
12 behalf to wherever they want to it conveyed to?

13 MR. MCGILL: Yes, that's my understanding of what they
14 will seek.

15 MR. MONDROW: So they become a direct purchase
16 customer of yours?

17 MR. MCGILL: They already are.

18 MR. MONDROW: They already are?

19 MR. MCGILL: Yes.

20 MR. MONDROW: Fair enough. So the RNG would fall
21 under the direct purchase arrangement?

22 MR. MCGILL: Yes. If they were going to consume the
23 RNG at their own facilities, then that RNG would comprise
24 part of their T-service and deliveries with respect to
25 meeting their gas requirements under the transportation
26 agreements.

27 MR. MONDROW: And use of the RNG in Ontario is not a
28 condition of your agreement with the city of Toronto?

1 MR. MCGILL: No.

2 MR. MONDROW: Okay. I'm sorry, I just forget if you
3 said this. Is it your understanding that the city of
4 Toronto is going to proceed whether or not Ontario
5 government funding is available?

6 MR. MCGILL: That's my understanding. As far as I
7 know they are committed to going ahead with the project.

8 MR. MONDROW: So where are they going to get the
9 funding; do you know?

10 MR. MCGILL: They would have to determine how to do
11 that themselves.

12 MR. MONDROW: Do you know, Mary? No. It's okay.

13 All right. Ms. Giridhar, I made you come back after
14 lunch, so I'd better ask you some questions. I hope
15 you're --

16 MS. GHRIDAR: Oh, don't feel bad. Sorry.

17 MR. MONDROW: I feel obligated. So you are bringing
18 forward the RNG -- I think these are questions for you --
19 the RNG services proposed under section 36 of the OEB Act.
20 You are asking for a rate order, essentially, is the relief
21 requested in this proceeding, right?

22 MR. MCGILL: Yes, that's what we're looking for.

23 MR. MONDROW: Okay, and so just sticking with
24 injection for a minute, is that sale, distribution, or
25 storage, in your view?

26 MR. MCGILL: That would be distribution of gas --

27 MR. MONDROW: Would be distribution? Okay. And what
28 about cleanup? Is that distribution?

1 MR. MCGILL: Distribution of gas.

2 MR. MONDROW: Cleanup is a distribution function?

3 MR. MCGILL: Yes.

4 MR. MONDROW: And that's by virtue of the fact that
5 you now under cap-and-trade have a distribution company
6 obligation to abate carbon? Is that what makes it
7 distribution?

8 MR. MCGILL: Well, that's part of it. I think the
9 other aspect of it is that by my reading and understanding
10 of the Ontario Energy Board Act, that raw untreated biogas
11 fits within the definition of gas in the Act and that
12 upgrading that gas to a quality that -- such that it can be
13 introduced into our gas distribution system would be a gas
14 distribution activity.

15 MR. MONDROW: But you also think that others can do
16 that if they want to do that?

17 MR. MCGILL: Yes.

18 MR. MONDROW: And they wouldn't do it as a
19 distribution activity, right?

20 MR. MCGILL: I wouldn't expect so, no.

21 MR. MONDROW: Okay.

22 MR. MCGILL: I don't think it is a condition of the
23 Act as to whether or not others can do certain functions.

24 MR. MONDROW: Sorry, I don't understand.

25 MR. MCGILL: Well, I don't think it's a condition of
26 the Ontario Energy Board Act that others couldn't perform
27 that function.

28 MR. MONDROW: They wouldn't need a rate order to do

1 that from this Board?

2 MR. MCGILL: That's right.

3 MR. MONDROW: Okay.

4 MS. GIRIDHAR: Yeah, I think just thinking that
5 through, you know, there are certain things that we do, for
6 example, I guess, natural-gas compression for vehicles is a
7 service that we offer. Other entities can do that too. We
8 have a distribution rate for natural gas vehicle --

9 MR. MCGILL: Refuelling.

10 MS. GIRIDHAR: Refuelling.

11 MR. CHAGANI: Another example is customer piping on a
12 private property. Enbridge will do it up to a building,
13 but if the customer wants us to drop off the gas at an
14 earlier point we would do that, and then they would build
15 the piping downstream of our meter station. Both
16 activities can be done by utility and in this case by the
17 customer, and that's on private --

18 MR. MONDROW: Okay. No, that's helpful. So what
19 you're saying is that when your pipe crosses on to --
20 crosses a property line, the fence, as you put it earlier,
21 on to a person's property, that is no longer a regulated
22 activity?

23 MR. MCGILL: It depends where the meter is located. So
24 we -- the utility assets end at the outlet of the meter, so
25 if the customer wants us to, say, build a sales station at
26 the property line and then take the gas from the meter
27 along -- in their -- across their property to their
28 building, then that's done, and is quite typical, or the

1 customer might find it beneficial for us to extend our pipe
2 across their property and locate the sales station and the
3 meter adjacent to the building.

4 MR. MONDROW: So let's just be clear about what my
5 question was. If Walker Environmental or Storm Fisher want
6 to update their own biogas, they don't need to come to the
7 OEB for a section 36 rate order, right?

8 MR. MCGILL: Correct.

9 MR. MONDROW: Okay.

10 MR. QUINN: Can I add to that, Ian? Just on the last
11 -- the example that you gave about the pipe being
12 downstream of the meter, so customer piping, there isn't a
13 regulated rate for that service, is there?

14 MR. MCGILL: No, there's not.

15 MR. QUINN: So you do it on a cost-plus basis or how
16 does that -- how does Enbridge charge for that?

17 MR. CHAGANI: No, so Enbridge would use our regulated
18 rate to get to the point where we transfer custody to the
19 customer.

20 MR. QUINN: The downstream part.

21 MR. CHAGANI: The downstream part. Enbridge is not
22 building that part, the customer is building that pipe, and
23 they don't have a regulated rate for that downstream pipe
24 that goes from our meter to their burner tip.

25 MR. QUINN: So maybe I misunderstood. So Enbridge
26 will not -- if a customer says they want it at their
27 property line, Enbridge will not build the downstream
28 piping?

1 MR. MCGILL: No, we won't build the downstream
2 piping --

3 MR. QUINN: Okay.

4 MR. MCGILL: -- past the meter.

5 MR. QUINN: Okay, I misunderstood. I thought you were
6 using that as an example of a service that you provide also
7 as -- with the market. You are just saying anything
8 upstream -- if it's on that property with upstream it's --
9 you will do it, if it's downstream you won't.

10 MR. MCGILL: That's right.

11 MR. QUINN: Okay, that separates that out.

12 MR. MONDROW: Why not?

13 MR. MCGILL: I'm not sure. I think it might go --

14 MR. MONDROW: There's an idea for you.

15 MR. MCGILL: -- it might go back to the days of
16 unbundling. You know, I think we probably would have been
17 more inclined to do that kind of thing 20 or more years
18 ago, but we don't do it today.

19 MR. MONDROW: Okay, thanks. Good.

20 Malini, there is also reference in the undertaking
21 responses -- sorry, not the undertaking responses, the
22 interrogatory responses to the undertakings, being the LGIC
23 undertakings -- and I think they're also filed with the
24 application if I'm not mistaken.

25 What part of the undertakings exactly are you relying
26 on in respect of this application? Could you help me? And
27 maybe we should go to them if we could. They are at
28 Exhibit B, tab 1, Schedule 1, Appendix 1.

1 And I think what your evidence says if I recall it
2 correctly is that these new business activities are
3 provided for under the undertaking, so I'd like to
4 understand that, please.

5 MR. MCGILL: So I think what we are referring to can
6 be found on page 10 of Appendix 1 of Exhibit B1, tab 1,
7 Schedule 1, and this pertains more so to the geothermal
8 energy service proposal that we have. It's paragraph (d),
9 and this is the ministerial directive that goes back to --
10 this is the 2009 directive.

11 MR. MONDROW: So this is the first of the three
12 directives you've got in this package, right?

13 MR. MCGILL: I think there is the undertakings that go
14 back to 1998 or '99, and then two ministerial directives.

15 MR. MONDROW: Okay, and so, sorry, you were -- so
16 again, I'm talking about RNG, so is there something in here
17 that applies to your RNG request?

18 MR. MCGILL: No, we don't -- we believe that our RNG
19 proposals are compliant with the undertakings because they
20 are dealing with the distribution of gas as defined in the
21 OEB Act.

22 MR. STEVENS: But in any event, Ian, to the extent
23 that one would need to go beyond that, I think the
24 reference that Steve was pointing you to, which is (d) on
25 page 10 of 13 from the 2009 undertaking, broadly speaks of
26 assets to assist the government of Ontario in achieving
27 energy conservation goals.

28 MR. MONDROW: So RNG is an energy conservation

1 initiative?

2 MS. GIRIDHAR: Certainly utilizes gas that will
3 otherwise be wasted.

4 MR. MONDROW: All right.

5 MR. STEVENS: I think writ large it fits within the
6 government's energy conservation and just general energy
7 goals that have been expressed, whether it's been through
8 the LTIP, the CCAP, or cap-and-trade, and just the various
9 endeavours that are aimed at lessening the intensity of
10 energy consumption and the emissions associated.

11 MR. MCGILL: It's also -- I think the RNG proposal is
12 also consistent with the letter that was sent to the chair
13 of the OEB by the Minister of Energy in December 2016, and
14 you can find that in Appendix 4 of Exhibit B, tab 1,
15 schedule 1.

16 MR. MONDROW: All right, but that letter doesn't
17 change either the OEB Act or your undertakings, right,
18 Steve?

19 MR. MCGILL: No, it doesn't. But I think it gives a
20 pretty clear signal as to what the policy of the government
21 was at the time.

22 MR. MONDROW: Yes, well, we all know how policies
23 change, but fair enough.

24 But I was actually asking about the authority that you
25 think -- or the contemplation that you think arises from
26 the undertakings in respect of RNG, because that's what
27 your evidence said and I think you've answered that it's
28 conservation essentially?

1 MR. MCGILL: Yes.

2 MR. MONDROW: Oh, it is distribution or conservation
3 or combination of the two; Marion is correct.

4 Do you want to get up there?

5 MS. FRASER: No.

6 MR. MONDROW: Because you have to swear an oath. It's
7 not a walk in the park by any stretch of the imagination.
8 I should stop muddying up the record.

9 So in respect of the nascency of this activity -- and
10 again, I'm talking about the clean up activity -- sorry,
11 the upgrading activity -- if competition were to develop,
12 if others started to coming into the market, would you --
13 as a utility, would you withdraw from the market?

14 Again, I'm talking about the market for upgrading
15 services in particular.

16 MS. GIRIDHAR: You know, I mean we want to offer the
17 service as long as it's useful to the marketplace, again
18 going back to calling it an enabling service.

19 I just want to point out that there's precedents at
20 the Board where we have undertaken activities and at a
21 point in time, the Board ruled that there was competition
22 sufficient to forebear and, you know, if that was the case
23 and a regulated service was no longer required, we would be
24 prepared to consider that at that point.

25 MR. MONDROW: So what are those activities?

26 MS. GHRIDAR: Well, I think our retail energy services
27 -- I think you are quite familiar with those, Ian, that we
28 got out of that about 20 years ago.

1 MR. MONDROW: But you it never did that as a utility.
2 That was never in regulation.

3 MR. MCGILL: What, the rental program?

4 MR. MONDROW: Sorry, energy services. I thought you
5 meant the commodity. But sorry, the rental program.

6 MR. MCGILL: The rental program was within the utility
7 right up until the end.

8 MR. MONDROW: Retail means -- yes, right, the context
9 has changed. The rental program; what else?

10 MS. GHRIDAR: Storage.

11 MR. MONDROW: Storage; anything else?

12 MR. MCGILL: Well, I think there was a whole host of
13 retail services we offered up until 2000. There was the
14 rental program. We had appliance stores, we had
15 merchandise financing programs.

16 MS. GHRIDAR: Insurance.

17 MR. MCGILL: Heating plan insurance, we put insulation
18 in attics and did all kind of different things, weather
19 sealing, upgraded windows, doors.

20 MR. MONDROW: Yeah, okay, fair enough. And those
21 retail energy services dated back to the 1950s, as I
22 recall, right? You were building load -- not you, but your
23 predecessors were building load.

24 MS. GHRIDAR: We were transforming the market.

25 MR. MONDROW: Transforming the market. Yeah, good
26 call.

27 If competition were to develop and -- well, sorry, let
28 me back up. Malini, you said if that were to happen, the

1 Board could forebear, which means, I guess, that they don't
2 set a regulated rate for that.

3 MS. GHRIDAR: Correct.

4 MR. MONDROW: But then would you have to take the
5 upgrading service out of the utility function? That's what
6 happened with the retail energy service.

7 MR. MCGILL: If it -- if it.

8 MR. MONDROW: And the storage that's now unregulated.

9 MR. MCGILL: If that unfolded the same way as the
10 situation we had with the retail businesses in the late
11 1990s, then yes, they would end up ...

12 MR. MONDROW: They would have to be removed.

13 MR. MCGILL: Yes, similar to what happened to agent
14 billing and collection. It started out in 1998 as a
15 utility service, and then the Board determined that it
16 should be operated on a non utility basis in the case of
17 Enbridge, and we've operated it is a such since -- was it
18 1999, I believe.

19 MR. MONDROW: Until that happens, do you think you
20 have an obligation to provide the upgrading service?

21 MS. GHRIDAR: It's a market facilitation role, so we
22 want to be there for the customers and we want to be there
23 for project proponents that want to bring RNG for our
24 customers.

25 So I don't know whether it is an obligation; it is
26 certainly a desire to enable the market. If I may provide a
27 little more context on this?

28 MR. MONDROW: Absolutely.

1 MS. GHRIDAR: But I happen to sit on something called
2 a clean tech strategy table that was initiated by the
3 federal government, and the government has a explicit
4 desire to incent adoption of clean technology in Canada and
5 they are very interested in understanding the regulatory
6 sandbox that we've operated at in the past that enabled,
7 for example, a natural gas service to go from, I don't
8 know, I guess from 200,000 customers in 1957 all the way up
9 to penetration in excess of 95 percent of the marketplace
10 by the time we reached the 1990s.

11 So there is an understanding that utilities play a
12 facilitation role and especially as it relates to clean
13 energy, that utilities can play a very supportive role for
14 clean tech.

15 So it's not just us. I think there is appreciation
16 for the role that utilities can play this space.

17 I just wanted to mention that.

18 MR. MONDROW: Sorry, I appreciate that. That would be
19 a good discussion.

20 MR. MURRAY: That's right, Mr. Mondrow, a time check?

21 MR. MONDROW: You said go, I'm going. I still have
22 some -- a few minutes. But if you want to take a break, I
23 can come back to it, that's fine.

24 MR. MURRAY: Should we break until ...

25 MR. MONDROW: Maybe the court reporter would like --
26 why don't we take a break? Let's see, I'll try.

27 I'm just looking for my notes, Malini, because earlier
28 you mentioned something about the Board approving in the

1 past or permitting in the past a plain vanilla utility
2 offering, I think was the term you used, alongside a
3 competitive offering, and I am curious what you were
4 referring to.

5 MS. GHRIDAR: I was referring to the commodity
6 offering, so the fact that since the late '80s we have been
7 offering -- I call it a plain-vanilla utility offering,
8 because it's basically -- you know, it is a cost-based
9 offering on commodity that has essentially a default that
10 customers can take, and the Board enabled all kinds of
11 other retail commodity offerings, you know, longer-term,
12 different shade of pricing, et cetera.

13 And so I think GDAR is a good example where the Board
14 ruled on a mechanism that allowed the utility to be there
15 as a back stop and as a default, but also to have
16 competitive offerings, which is really why I'm so enamoured
17 by all of the thinking this Board has done in the natural
18 gas industry space over the last 30 years and come up with
19 a very rational framework that I believe can be applied
20 here.

21 MR. MONDROW: I think I'm going to go, so we can both
22 find it at the same time, to interrogatory response to
23 Staff 7, which is under Exhibit I, tab 2.

24 This is something that we talked about earlier. I'm
25 looking at the first page of the interrogatory under item C
26 sub 1, which asked Enbridge Gas to explain whether it will
27 enter into discussions with municipalities that are outside
28 of its current service territory. So I guess we're talking

1 pre-merger, and your response was, which you can see on
2 page -- bottom of page 2:

3 "Enbridge has not entered into discussions with
4 municipalities that are outside of its current
5 service territory."

6 Fair enough, but that wasn't the question. The
7 question was: Will you? So will you? Is there any reason
8 you wouldn't? And this is in respect of upgrading
9 services, by the way.

10 MR. MCGILL: I think there is nothing to prevent us
11 from doing that, but we haven't done that as of this point
12 in time, and I think as we presumably move forward with
13 further integration with Union Gas, this will be something
14 that we address through that process.

15 MR. MONDROW: Okay. So just one more quick area. We
16 talked about two other jurisdictions, Quebec and B.C.
17 Those are the two jurisdictions that you've offered up as
18 examples, and we talked a little bit about Quebec earlier,
19 so we already know that upgrading is not part of the
20 regulated distribution function according to the Régie in
21 Quebec.

22 My understanding is that the issue of whether Energir,
23 which is the new Gaz Métro, should procure RNG and pay a
24 premium, is an issue that is currently before the Régie.
25 Do you -- can you confirm that?

26 MR. MCGILL: Yes, as far as I know that's correct.

27 MR. MONDROW: And has been before the Régie for some
28 time.

1 MR. MCGILL: I don't know how long it's been in front
2 of the Régie.

3 MR. MONDROW: Okay. There is a large RNG facility in
4 Quebec called -- or at Saint-Hyacinthe? I'm probably not
5 pronouncing it right -- you're aware of that facility --
6 that facility was built, as I understand it, with municipal
7 funding, upgrading facility?

8 MR. MCGILL: I don't know.

9 MR. MONDROW: You don't know? Okay. There are a
10 bunch of other pro -- RNG upgrading projects in Quebec
11 currently -- facilities currently operating?

12 MS. GIRIDHAR: We know of one more if...

13 MR. MCGILL: Yeah, we're aware of one other facility
14 that's operating in Quebec at the moment.

15 MR. MONDROW: And other than Saint-Hyacinthe, those --
16 that other facility is selling its RNG to California,
17 right? Do you know that?

18 MR. MCGILL: I can't confirm that. I...

19 MR. CHAGANI: We know that it's injecting into
20 TransCanada. We don't know where the gas goes beyond that.

21 MR. MONDROW: It's not being used in Quebec?

22 MR. CHAGANI: We couldn't tell you.

23 MR. MONDROW: Well, it's going into TransCanada, so it
24 is not being used in Quebec, right?

25 MS. GIRIDHAR: It could be. I think it is going into
26 the TQM system -- we are not aware --

27 MR. MONDROW: -- downstream? Okay. Fair enough. But
28 I think the answer is you're not sure.

1 MS. GHRIDAR: Correct.

2 MR. MCGILL: Correct.

3 MR. MONDROW: Okay. I believe that's it. Thanks very
4 much. Thanks to the court reporter.

5 MR. MURRAY: Why don't we take -- Mr. Rubenstein, how
6 long do you think you'll be?

7 MR. RUBENSTEIN: An hour. I don't know. Ten minutes,
8 maybe, ten, 15 minutes.

9 MR. MURRAY: Umm... Why don't we take -- is ten
10 minutes okay? If we only have ten minutes to go, ten-
11 minute break, and we'll come back in ten minutes, at 4:00?

12 --- Recess taken at 3:49 p.m.

13 --- On resuming at 4:02 p.m.

14 MR. MURRAY: I think we'll get back to things, if
15 everybody can please be seated.

16 I'm advised that OSEA, Ms. Fraser, doesn't have any
17 questions, so I'm going to ask Mr. Rubenstein to go ahead
18 with his questions.

19 **EXAMINATION BY MR. RUBENSTEIN:**

20 MR. RUBENSTEIN: Thank you very much. Can we start by
21 going to SEC number 3, issue 1.

22 We had asked to provide the benefit of risks for each
23 of the following parties: existing natural gas customers,
24 RNG producers and Enbridge shareholders.

25 And for Enbridge shareholders, the comment is:

26 "Enbridge does not believe that its shareholders
27 should bear any incremental risk with these
28 abatement activities, given that the Board has

1 determined that GHG abatement activities are
2 incurred as part of the utilities' role in
3 providing distribution services similar to other
4 delivery costs."

5 If the cap-and-trade program is wound down, does this
6 response still apply?

7 MR. MCGILL: In terms of the cap-and-trade program and
8 the company's obligations under it, this response, I think,
9 is devalued significantly in the way it's drafted now.

10 But I think coming back to the point I made earlier,
11 that we view both the upgrading service and the RNG
12 injection services as distribution services that should be
13 regulated by the Board under sections 36 of the OEB Act.

14 So I'd come back to that as our support for going
15 ahead with this on a regulated basis.

16 MR. RUBENSTEIN: I understand that. But do you
17 believe that the -- I take it from reading this that you
18 speak to GHG abatement activities as a reason why the
19 shareholder should not bear any costs. But if there is no
20 abatement framework similar to the cap-and-trade program,
21 to you believe that the shareholder should bear any risk?

22 MR. MCGILL: Well, I think what we said in the
23 response is not bear any risk incremental to that that the
24 shareholder already bears respect with respect to our
25 regular business as it is today.

26 MR. RUBENSTEIN: All right. Could I now ask you to
27 turn to Staff.9? It's in issue 2, I believe.

28 You were asked in part L for both the upgrading and

1 injection service to provide -- to specify the major cost
2 components of the O&M expenses.

3 MR. MCGILL: Yes.

4 MR. RUBENSTEIN: And then you provide them. What you
5 mean by consumables?

6 MR. MCGILL: Could you repeat that, Mark?

7 MR. RUBENSTEIN: What is meant by consumables.

8 MR. CHAGANI: So there would be a number of
9 consumables, for instance oil for the different parts. But
10 the main piece over here is in part of stripping out the
11 hydrogen sulphate in the biogas, you need activated carbon.
12 So activated carbon is the consumable specifically that
13 was -- or the majority of this would be activated carbon,
14 but there would be a number of other small pieces that
15 would be changed from time to time.

16 MR. RUBENSTEIN: As I understand for both the
17 upgrading and the injection service, how the contracts are
18 structured and the costs are structured for the purposes of
19 the DCF analysis which makes up the rate, you will have a
20 forecast capital cost that will ultimately -- ultimately
21 the customers will pay the actual -- sorry, the RNG
22 producer will pay the actual capital costs?

23 MR. MCGILL: The rate will be based on the actual
24 capital cost.

25 MR. RUBENSTEIN: But the O&M is a forecast cost for
26 the length of the contract for whatever term it is; is that
27 not correct?

28 MR. MCGILL: Yes.

1 MR. CHAGANI: So I think we should take a step back
2 there. With respect to the O&M, operating these facilities
3 requires more than what you're seeing on Staff 9, part L.

4 There is electricity, which is the largest component.

5 It's about 35 or 40 percent of the operating cost.

6 That's not labeled here.

7 There is natural gas that may be needed. There is
8 water. Those are the three main utilities. All of those
9 will be borne completely by the producer. So we would take
10 -- we would take a gas service that would be on their site,
11 we would take an electricity service. But those would be
12 their costs, they would be paying the monthly invoices.

13 So then there are some costs that we would be -- that
14 would be incurred as part of our operation, those are the
15 ones labeled over here, and there are a very small
16 component in the overall operating of the facility.

17 MR. RUBENSTEIN: Is this \$448,000 in total, or for the
18 year that you are forecasting?

19 MR. CHAGANI: That's an annual amount per year.

20 MR. RUBENSTEIN: Let's say half a million dollars,
21 roughly, but it is not about the magnitude. I'm just
22 trying to understand.

23 You are forecasting that over the length of the term
24 of the contract, 10, 15, 20 years, whatever it may be,
25 correct?

26 MR. CHAGANI: Yes.

27 MR. RUBENSTEIN: So my question is -- I think there
28 was some discussion about your previous experiences with a

1 projection facility. I think you have one -- you were
2 talking about this old facility that you have, and will
3 that -- will it look, or will it be similar to this one,
4 the one that you will be putting in place?

5 MR. MCGILL: So to be clear, this interrogatory is
6 dealing with the upgrading facility, not the injection
7 facility.

8 MR. RUBENSTEIN: The injection is on the next page.

9 MR. MCGILL: So the existing injection facility or
10 transfer -- custody transfer station we have would be much
11 less complex than what we would be seeing with respect to
12 an RNG injection facility. So I think the cost associated
13 with that would be much less; it's much more
14 straightforward.

15 MR. RUBENSTEIN: Well, lets put aside the magnitude;
16 it is the secondary question. But I just want to
17 understand conceptually here.

18 My understanding is you have one old injection
19 facility and you have zero upgrading facilities that you
20 currently operate.

21 MR. MCGILL: Yes.

22 MR. RUBENSTEIN: So what type of experience do you
23 have to be able to forecast 20 years O&M cost for these
24 facilities?

25 MR. MCGILL: Well, with respect to injection
26 facilities, we operate -- I don't know, probably more than
27 20 gate stations off the TransCanada system, and we have
28 years and years of experience with that work.

1 So, you know, that's informed a lot of the costs that
2 have been set out in this example in evidence here.

3 MR. RUBENSTEIN: And what about upgrading?

4 MR. MCGILL: With respect to upgrading, we haven't had
5 experience operating an upgrading facility yet. But the
6 costs we have are based on discussions we've had with
7 service providers that would be participating in operating
8 these services, and based on the contracts we would put in
9 place for those services.

10 MR. RUBENSTEIN: So am I correct that if the operating
11 costs end up being more than you forecast over the life of
12 the contract, those costs will be borne by the remainder of
13 your distribution ratepayers?

14 MR. MCGILL: Well, they would have an impact on the
15 actual cost of operating the system and if the costs were
16 higher, the return on the investment in these assets would
17 be less; if the costs were lower, they would be higher.
18 But that's similar to the risks we have with respect to
19 operating the rest of the system.

20 MR. RUBENSTEIN: I guess that depends on what you
21 would be building into rates at any future rate case,
22 correct?

23 MR. MCGILL: Yes.

24 MR. RUBENSTEIN: And so are you saying that you will
25 always build into rates -- you will not -- so let me put it
26 this way: You will not build into rates at any time from
27 today til the end of time, I guess, that we're doing these
28 contracts, the O&M costs for any incremental O&M costs that

1 you have to forecast to service these customers?

2 MR. MCGILL: Can you give us one moment, please.

3 [Witness panel confers]

4 MR. CHAGANI: So Mr. Rubenstein, maybe I could direct
5 you to the same Staff IR 9, bullet O, and if we go through
6 the table, what we see is a number of different scenarios.

7 So if we look at the last scenario, this is the base
8 case with a 10 percent increase in O&M, and what it shows
9 is what the annual revenue would be, the accumulated NPV,
10 and then the PI.

11 And what we're seeing is that the methodology that we
12 have outlaid within our application shows that the PI still
13 is above 1, even if there is a 10 percent increase in O&M
14 for every single of the 20 years.

15 MR. RUBENSTEIN: All right. And I'm not sure what the
16 number would be to take that down to below 1. 12 percent,
17 13 percent; correct?

18 MR. CHAGANI: Yes.

19 MR. RUBENSTEIN: That doesn't answer the question.

20 MR. MCGILL: It would have to be much higher than a 10
21 percent increase for the full 20 years.

22 MR. RUBENSTEIN: Well, if 10 percent takes it down
23 from 1.1 to 1.015, then 12 percent is taking that below 1?

24 MR. MCGILL: Sorry. Yeah, so if it is lineal, which
25 I'm not sure that it is, but if it were, a 10 percent
26 increase in O&M for the full 20 years results in the PI
27 dropping from 1.1 to 1.08, so that's 20 percent, so you
28 would have to increase O&M by 50 percent for the full 20

1 years in order to bring the PI down to 1, which is still
2 break-even from a ratepayer standpoint.

3 MR. RUBENSTEIN: Okay.

4 MR. MCGILL: So I think the risk of increased O&M
5 costs having a measurable effect on the feasibility of
6 these projects is very, very low.

7 MR. RUBENSTEIN: Back to my original question. If you
8 find out hypothetically after year 2 we really got it
9 wrong. The cost is 30 -- O&M is going to be 30 percent
10 every year more than we -- would you seek that -- would you
11 seek to include that in your general -- whenever the next
12 rate application you have, whenever the next cost-of-
13 service rate application you have, to seek to recover that
14 incremental amount from the rest of your customers?

15 [Witness panel confers]

16 MR. MCGILL: I'm just trying to think through how the
17 process -- yeah, how the -- how the process would work.
18 We're just trying to think through how the process would
19 work from a rate-setting standpoint, and I'll get back to
20 you in a moment.

21 [Witness panel confers]

22 MR. MCGILL: So Mark, the way I would look at this is
23 that, you know, right now we have a proposal in front of
24 the Board that would delay rebasing of our rates until
25 2029, so that to the extent that we had increased O&M costs
26 beyond what we were expecting, that would be for our
27 account up until that time of rebasing, and then at the
28 time of rebasing we would look at our total cost in terms

1 of determining a revenue requirement, seek to recover all
2 those costs in rates.

3 MR. RUBENSTEIN: There was discussion about -- so as I
4 understand it from your previous talking, for the capital
5 cost, the RNG producer will pay the actual capital costs.

6 MR. MCGILL: Correct.

7 MR. RUBENSTEIN: What about future capital costs that
8 it may need because there needs to be an upgrade to some
9 sort of cap -- one of the facilities within the larger
10 injection facility needs maintenance work that would be a
11 capital maintenance work, would those be recovered from
12 that customer?

13 MR. MCGILL: I believe we had an interrogatory
14 response that spoke to that, and just give us a moment.
15 We'll look at that before we respond to the question.

16 [Witness panel confers]

17 MR. RUBENSTEIN: If you want to answer by way of
18 interrogatory, pointing to an interrogatory, if it exists,
19 that's fine with me.

20 [Witness panel confers]

21 MR. CHAGANI: So while we find the IR response, the
22 model would actually allow for, like, for us to build in
23 future capital costs, so, for instance, on some of the
24 plants that we're looking at, in year 10 or year 9 there is
25 some membrane replacement, and so the membrane replacement,
26 we would forecast that cost into our DCF analysis, and
27 therefore it would be built into the fees, so that would be
28 the first way that we could recover any future capital

1 costs that are required, and we could do it as a --
2 depending on the way that the customer wanted to structure
3 it, we could structure it that they paid in year 10 or
4 earlier on, but the way that our model would be forecasted,
5 throughout the life, from year -- from day one. We would
6 forecast -- at certain times we would need to put capital
7 into it to replace certain parts. Those costs would be
8 built into the forecast.

9 MR. RUBENSTEIN: But that would only be for expected
10 capital work you know you'll need to do, so -- as you said,
11 so you can just go to an RNG producer and says, just so you
12 know, in year 8 these things always fail, we need to
13 replace them, or, you know, the life expectancy of this
14 widget is ten years, so we'll have to replace it, so we're
15 going to build in those costs, but that does not account
16 for anything that's unexpected; correct?

17 [Witness panel confers]

18 MR. RUBENSTEIN: APPrO.5, I'm being told, 2.APPrO.5,
19 part D may be what you're looking at apparently.

20 MR. MCGILL: The interrogatory that I'm thinking of is
21 APPrO.5, part D. APPrO.5, part D so that was in issue 2.

22 So the question was: Please explain how Enbridge
23 would account for further capital investment that may be
24 required from time to time to continue to provide service
25 over the life of the contract.

26 And the response was:

27 "The company will establish suitable warranties
28 and protections from manufacturers and

1 installation contractors to cover future
2 unanticipated capital costs for RNG processing
3 and injection facilities. Any change required by
4 the customer will result in adjustments to the
5 customer's fees to cover the associated
6 additional costs."

7 MR. RUBENSTEIN: So I read that as -- now, my
8 interpretation. Enbridge will try to have warranties and
9 protections from manufacturers and contractors. But
10 ultimately, you will bear the costs for things that are not
11 being requested by the RNG producer?

12 MR. MCGILL: I think to the extent that Enbridge had
13 to bear any unanticipated or unforecasted costs that were
14 weren't covered by the fee, we look at that as the same
15 risk as we have today with respect to facilities that we
16 install that don't last as long as we think they would, or
17 require capital upgrades to. So those costs would be
18 eventually recovered in rates through the same process.

19 MR. RUBENSTEIN: But in that situation, you allocate
20 those costs to that rate class, generally. Here you are...

21 MR. MCGILL: Well, there is a cost allocation process,
22 and those costs would probably be allocated across all of
23 the rate classes, depending on the nature of the
24 expenditure.

25 MR. RUBENSTEIN: But here the only rate class that
26 will not be allocated those costs would be those that are
27 actually benefiting from it.

28 MR. MCGILL: Yes, well, the one point is that the

1 ratepayers stand to benefit to the extent that the
2 sufficiencies over time, or the revenue sufficiencies over
3 time will exceed the revenue deficiencies. So that serves
4 as an offset to those costs.

5 MR. RUBENSTEIN: Now with respect to the capital
6 costs...

7 MR. MONDROW: Sorry, Mark, before you leave, can I
8 jump in?

9 So two things, Steve, one is that if you are actually
10 proposing to have manufacturers and installation
11 contractors cover future underscore unanticipated capital
12 costs, there will be a premium associated with that that
13 they will charge you, right?

14 MR. MCGILL: And that will be included in the initial
15 capital cost of the facility and recovered through the
16 customer in the rate we charge them.

17 MR. MONDROW: Right, okay. And in respect of the
18 point you just made to Mark about if beyond those
19 warranties and protections, there was additional capital
20 required, you would seek to recover that from all
21 ratepayers.

22 The answer is that except for those ratepayers under
23 the service who are obligated to pay you only what their
24 contract says, right? So I think you acknowledged
25 implicitly that those customers benefiting from those
26 upgrades would not actually bear any portion of the costs
27 to the extent that they spilled over into your other rates.

28 MR. MCGILL: Yes, I just -- I agree with your

1 statement, other than I wouldn't characterize these things
2 as upgrades. These would be unanticipated costs that are
3 required to keep the facility up and running. So it
4 wouldn't be upgrades.

5 MR. MONDROW: Point taken, thank you. Thanks, Mark.

6 MR. RUBENSTEIN: With respect to capital costs, the
7 end that the customer -- the actuals that the customers or
8 the RNG producer will be required to pay for, does that
9 include all the regulatory costs that may -- you may be
10 incurred bringing forward a leave to construct proceeding
11 for approval?

12 MR. MCGILL: I'm not sure how we treat those costs
13 today, but with respect to our leave to construct
14 proceedings, my assumption would be that we would treat the
15 regulatory costs associated with those applications in the
16 same manner as we do today for regular leave to construct
17 applications.

18 So I can take an undertaking to confirm that, but --
19 because I don't know what we do today, if we actually
20 charge projects with the cost of regulatory proceedings
21 associated with the leave to construct applications that
22 support them.

23 MR. RUBENSTEIN: All right. Well, I'd like you to do
24 that. I'd also like you to -- I know that to give us a
25 forecast of what -- using, let's say, your model projects,
26 what your expectation of that cost would be.

27 MR. MCGILL: Okay, that's -- we'll have to make some
28 assumptions in order to do that, but we can make an attempt

1 do that.

2 MR. RUBENSTEIN: Just to get a sense of the magnitude.

3 MR. MURRAY: That will be undertaking JT1.14.

4 **UNDERTAKING NO. JT1.14: TO CONFIRM WHETHER REGULATORY**
5 **COSTS ARE INCLUDED IN CAPITAL COSTS THAT MAY BE**
6 **INCURRED IN BRINGING FORWARD A LEAVE TO CONSTRUCT**
7 **PROCEEDING FOR APPROVAL; TO PROVIDE MODEL PROJECTS**
8 **SHOWING EXPECTATIONS OF WHAT THOSE COSTS WOULD BE**

9 MR. RUBENSTEIN: With respect to the -- not if there's
10 a required pipeline to be built, but with respect to the
11 upgrading and injection facilities, would Enbridge require
12 other permitting or other environmental assessment
13 processes outside of anything that the Board would require
14 in a leave to construct?

15 MR. MCGILL: Yes, there are some permits that are
16 required. Some of them would be obtained by the biogas
17 producer. Some of them I believe that we would have to
18 obtain principally from the Ministry of Environment and
19 Climate Change so -- Mr. Chagani might be able to elaborate
20 on that.

21 MR. CHAGANI: The main permit to be the site ECA. So
22 presumably, most of these sites would already have an ECA,
23 so there would be an amendment allowing Enbridge to build
24 the facilities on the site.

25 MR. RUBENSTEIN: Who would be responsible for that?

26 MR. CHAGANI: It would be a combination of Enbridge
27 and the site owner.

28 MR. RUBENSTEIN: Who would be paying for it?

1 MR. CHAGANI: If Enbridge was paying for it, it would
2 be built into our service fees. If it was the site owner,
3 then they would just absorb it.

4 MR. RUBENSTEIN: Could I ask you to go to -- well, I
5 won't ask you about the interrogatory. But we had a
6 discussion earlier on, and I interjected at some point
7 earlier on today about the financial assurances.

8 MR. CHAGANI: Yes.

9 MR. RUBENSTEIN: And if we can go to Staff.16 -- this
10 is number 2, issue 2 -- sorry, I may have that number wrong
11 here. Sorry, Staff.6, this is a copy of the bio -- in the
12 attachment 1 is the biogas services agreement opinion. If
13 I could ask you to turn to page 14 of 92 -- sorry, 15 of 92
14 where it talks about the financial assurances.

15 And 13.02 says:

16 "Any request for financial assurances should be
17 based on the creditworthiness of the customer and
18 shall be consistent with the company's then
19 current policies relating to customer account
20 security applicable to like customers."

21 Is there a written policy relating to customer account
22 security?

23 MR. MCGILL: Not that I'm aware of, no. I'm familiar
24 with the process of how we go through our assessments of
25 creditworthiness, though.

26 MR. RUBENSTEIN: So when do you decide that you
27 require assurances or not? What is the --

28 MR. MCGILL: Well, it would be based on the credit

1 assessment of the counter party we're dealing with. So we
2 basically do typical kind of credit checks, either through
3 Equifax or Dunn & Bradstreet. We find out what the credit
4 ratings are for those customers. We will review their
5 financial statements and take into account, you know, the
6 history of that organization.

7 We have analyst in our office that does that work, and
8 they will come back to us with a recommendation as to how
9 much security we require, and that analysis is consistent
10 with the requirements of our corporate treasury department.

11 MR. RUBENSTEIN: And I assume for large customers,
12 those who would be of the size that would -- and the type
13 of entity that would take on this service, you're not 100
14 percent successful in recovering all fees owed?

15 MR. MCGILL: We're not 100 percent successful, but I
16 think based on our bad debt expense we have a very good
17 track record.

18 MR. RUBENSTEIN: And would Enbridge be amenable either
19 being in the rate handbook itself with respect to this rate
20 or a Board condition with respect to, if it approves your
21 application for language that would require the sufficient
22 financial assurances to be provided to cover all
23 undepreciated costs of the asset and removal and site
24 remediation?

25 MR. MCGILL: Just give us a moment, please.

26 [Witness panel confers]

27 MR. MCGILL: I think as a practical matter it would be
28 difficult for us to accept that kind of provision, in that

1 we expect that the majority of the counterparties that
2 we're dealing with in terms of these arrangements are going
3 to be municipalities, and that, you know, their credit
4 ratings typically well exceed our requirements, and that to
5 go to them and ask for things like irrevocable letter of
6 credits and -- letters of credit and whatnot, I think,
7 would undermine our credibility with them, in fact, so to
8 have some kind of blanket stipulation like that I think
9 would be very problematic -- problematic --

10 MR. RUBENSTEIN: What about non-public sector
11 entities?

12 MR. MCGILL: Well, I think that's what we do today.
13 We assess their creditworthiness. We have standards that
14 apply, and then we seek security that's appropriate for
15 that -- those individual entities based on those
16 assessments, so like I said, I'm quite familiar with the
17 process. I looked after credit collections for the company
18 for a number of years, so I've been involved in lots of
19 instances where we've pursued security from customers,
20 where we don't have significant investments in facilities,
21 we just have significant receivable risk with them. So I
22 know exactly how the process works and I know exactly the
23 steps we go through in order to obtain that kind of
24 security, so that's what we would apply in the case of non-
25 government entities in terms of providing this service or
26 any other service that we provide.

27 MR. RUBENSTEIN: So back to my question: Would you
28 agree to language in the rate handbook, your conditions of

1 approval, for inclusion that would require sufficient
2 financial assurances from producers to cover all
3 undepreciated cost of the assets' removal site remediation
4 if it was specific to private entities? If you'd like to
5 think about it you can take an undertaking. I don't want
6 to put you on the spot for something like that.

7 MR. MCGILL: I am just reluctant to agree to something
8 like that without taking it back for consideration.

9 MR. RUBENSTEIN: Fully understand.

10 MR. MURRAY: We'll mark it as an undertaking. JT1.15.

11 **UNDERTAKING NO. JT1.15: TO ANSWER THE FOLLOWING**
12 **QUESTION: WOULD YOU AGREE TO LANGUAGE IN THE RATE**
13 **HANDBOOK, YOUR CONDITIONS OF APPROVAL, FOR INCLUSION**
14 **THAT WOULD REQUIRE SUFFICIENT FINANCIAL ASSURANCES**
15 **FROM PRODUCERS TO COVER ALL UNDEPRECIATED COST OF THE**
16 **ASSETS' REMOVAL SITE REMEDIATION IF IT WAS SPECIFIC TO**
17 **PRIVATE ENTITIES?**

18 MR. RUBENSTEIN: Those are my questions. Thank you
19 very much.

20 MR. MURRAY: Thank you. That concludes the technical
21 conference on this matter.

22 --- Whereupon the hearing concluded at 4:39 p.m.

23

24

25

26

27

28