



# ONTARIO ENERGY BOARD

**FILE NO.:** EB-2017-0319

**Enbridge Gas Distribution Inc.**

---

**VOLUME:** Technical Conference

**DATE:** June 27, 2018

EB-2017-0319

THE ONTARIO ENERGY BOARD

Enbridge Gas Distribution Inc.

Application for approval of the cost consequences  
of the proposed Renewable Natural Gas Enabling Program  
and Geothermal Energy Service Program

Hearing held at 2300 Yonge Street,  
25th Floor, Toronto, Ontario,  
on Wednesday, June 27, 2018,  
commencing at 9:34 a.m.

-----  
TECHNICAL CONFERENCE  
-----

A P P E A R A N C E S

LAWREN MURRAY	Board Counsel
SHUO ZHANG	Board Staff
Laurie Klein	
DAVID STEVENS	Enbridge Gas Distribution Inc.
JOEL DENOMY	
LISA (ELISABETH) DeMARCO	Anwaatin Inc.
JOHN VELLONE	Association of Power Producers of Ontario (APPrO)
MICHAEL BUONAGURO	Balsam Lake Coalition (BLC) Arbourbrook Estates
JULIE GIRVAN	Consumers' Council of Canada (CCC)
BRADY YAUCH	Energy Probe Research Foundation
DWAYNE QUINN	Federation of Rental-housing Providers of Ontario (FRPO)
IAN MONDROW	Industrial Gas Users' Association (IGUA), Enwave
MICHAEL BUONAGURO	Canadian Biogas Association (CBA) and Ontario Greenhouse Vegetable Growers (OGVG)
MARION FRASER	Ontario Sustainable Energy Association (OSEA)
MARK RUBENSTEIN	School Energy Coalition (SEC)

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:34 a.m.	1
Appearances	1
<b>ENBRIDGE GAS DISTRIBUTION INC. - PANEL 1</b>	<b>3</b>
<b>A. Chagani, S. McGill, M. Giridhar</b>	
Presentation by Ms. Giridhar	3
Examination by Ms. Klein	7
Examination by Ms. DeMarco	43
--- Recess taken at 11:33 a.m.	72
--- On resuming at 11:57 a.m.	72
Examination by Mr. Vellone	72
Examination by Mr. Buonaguro	100
--- Luncheon recess taken at 1:05 p.m.	111
--- On resuming at 1:55 p.m.	111
Examination by Ms. Girvan	111
Examination by Mr. Yauch	123
Examination by Mr. Mondrow	154
--- Recess taken at 3:49 p.m.	180
--- On resuming at 4:02 p.m.	180
Examination by Mr. Rubenstein	180
--- Whereupon the hearing concluded at 4:39 p.m.	197

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. KT1.1: BOARD STAFF TECHNICAL CONFERENCE QUESTIONS	7

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. JT1.1: TO PROVIDE THE DECISIONS AND THE RELATED PROGRAMS ACROSS THE COUNTRY INCLUDING ONTARIO, QUEBEC, AND TCPL'S RELATED TO RNG. ALSO TO PROVIDE MONTHLY CHARGES IF FOUND.	14
UNDERTAKING NO. JT1.2: TO PROVIDE THE GHG CALCULATION AND RELATED INFORMATION, IN RELATION TO OEB STAFF TECHNICAL QUESTION #3.	17
UNDERTAKING NO. JT1.3: TO PROVIDE INFORMATION ABOUT AND/OR COPIES OF DRAFT REGULATIONS IF AVAILABLE THAT OUTLINES THE REGULATIONS TO SUPPORT BIOGAS INJECTED IN ONTARIO TO BE USED BY COMPANIES IN WA; TO FILE PUBLIC DOCUMENTS FOR COMMENT ON THE CLEAN FUEL STANDARD FROM CANADA AND THE PUBLIC COMMENTS ON THE DRAFT RENEWABLE FUEL STANDARD FROM ONTARIO, FILED ON THE RESPECTIVE RFS AND CFS PROGRAMS.	26
UNDERTAKING NO. JT1.4: TO PROVIDE A DELINEATION OF ENVIRONMENTAL ATTRIBUTES, WHO GETS WHAT AND HOW THE CALCULATIONS WORK.	33
UNDERTAKING NO. JT1.5: TO PLEASE PREPARE AN ANALYSIS THAT DERIVES THE LEGALIZED SERVICE FEE THAT IS EQUIVALENT TO THE REVENUE REQUIREMENT (APPENDIX 6, LINE 15) ON THE PRESENT VALUE BASIS OVER THE SERVICE LIFE OF THE ASSET.	41
UNDERTAKING NO. JT1.6: TO PROVIDE THE CHARTS WITH THE ASSOCIATED CARBON ABATEMENT SAVINGS OR REASONABLE ESTIMATE THEREOF.	51

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. JT1.7: (1) TO PROVIDE THE POTENTIAL GREENHOUSE GAS REDUCTIONS DIRECTLY FROM BIOGAS PRODUCERS; (2) TO QUANTIFY THE EMISSION REDUCTIONS, OR THE DECREASED EMISSION REPORTING ASSOCIATED WITH THE POTENTIAL SUBSTITUTION VALUE, IF YOU CAPTURED THIS; (3) TO ATTEMPT TO QUANTIFY THE POTENTIAL RIN OR OTHER ENVIRONMENTAL ATTRIBUTES ASSOCIATED WITH WHAT YOU ARE ALLOWING TO BE INJECTED, IN TERMS OF RINS OR OTHER ENVIRONMENTAL INSTRUMENTS THAT HAVE VALUE.	58
UNDERTAKING NO. JT1.8: TO PROVIDE THE ANALYSIS THAT WENT INTO DETERMINING THAT THE UPGRADING SERVICE WAS A NON-OBLIGATORY SERVICE BUT THE INJECTION IS MANDATORY.	61
UNDERTAKING NO. JT1.9: TO ADVISE WHETHER ENBRIDGE HAVE EVER HAD A SHAREHOLDER RESOLUTION RELATING TO ITS GREENHOUSE GAS POSITION.	62
UNDERTAKING NO. JT1.10: RE: THE POTENTIAL CORPORATE-WIDE EMISSION REDUCTIONS FROM UNDERTAKING JT1.9, TO PUT THAT IN THE CONTEXT OF THEIR CORPORATE-WIDE EMISSIONS; HOW SIGNIFICANT IT IS TO THE CORPORATE-WIDE GREENHOUSE GAS EMISSIONS.	62
UNDERTAKING NO. JT1.11: TO PROVIDE A MAP OF THE PROPOSED LOCATIONS REFERRED TO AT EXHIBIT B1.1, PAGE 11, PARAGRAPH 32; TO PROVIDE A SECOND MAP OVERLAYING THE FIRST NATIONS AND INDIGENOUS COMMUNITIES IN THOSE SAME AREAS, FOR THE UPGRADING SERVICES AND THE INJECTION SITES.	63
UNDERTAKING NO. JT1.12: TO ASK ENGINEERING EXPERTS ABOUT THE SMALLEST SIZE INJECTION STATION THEY COULD PUT IN, AND ESTIMATE A COST, ASSUMING THE RNG PRODUCER IS RIGHT THERE AND ASSUMING A MINIMUM AMOUNT OF PIPE	70

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. JT1.13: TO PROVIDE THE REGULATORY PRECEDENTS FROM THE OTHER JURISDICTIONS; TO PROVIDE AN ANALYSIS OF THE TWO MARKETS	79
UNDERTAKING NO. JT1.14: TO CONFIRM WHETHER REGULATORY COSTS ARE INCLUDED IN CAPITAL COSTS THAT MAY BE INCURRED IN BRINGING FORWARD A LEAVE TO CONSTRUCT PROCEEDING FOR APPROVAL; TO PROVIDE MODEL PROJECTS SHOWING EXPECTATIONS OF WHAT THOSE COSTS WOULD BE	193
UNDERTAKING NO. JT1.15: TO ANSWER THE FOLLOWING QUESTION: WOULD YOU AGREE TO LANGUAGE IN THE RATE HANDBOOK, YOUR CONDITIONS OF APPROVAL, FOR INCLUSION THAT WOULD REQUIRE SUFFICIENT FINANCIAL ASSURANCES FROM PRODUCERS TO COVER ALL UNDEPRECIATED COST OF THE ASSETS' REMOVAL SITE REMEDIATION IF IT WAS SPECIFIC TO PRIVATE ENTITIES?	197



1 Wednesday, June 27, 2018

2 --- On commencing at 9:34 a.m.

3 MR. MURRAY: Good morning, everyone. I think it is  
4 probably a good time to get started.

5 This is the technical conference for OEB file number  
6 EB-2017-0319, which is Enbridge's application for approval  
7 for the cost consequences of two proposed programs: Its  
8 renewable natural gas enabling program and its geothermal  
9 energy service program.

10 My name is Lawren Murray. I am OEB counsel. With me  
11 from OEB staff are Laurie Klein and Shuo Zhang.

12 Before we get started I have one preliminary matter,  
13 but before we even address that I think it might be helpful  
14 to go through appearances. Perhaps we could start with Mr.  
15 Stevens.

16 **APPEARANCES:**

17 MR. STEVENS: Thanks, Lawren. I am David Stevens. I  
18 am here as counsel with Enbridge, and sitting with me is  
19 Joel Denomy.

20 MS. DeMARCO: Lisa DeMarco. I'm here on behalf of the  
21 Anwaatin First Nations communities.

22 MS. FRASER: Marion Fraser. I am here on behalf of  
23 OSEA.

24 MR. MONDROW: Ian Mondrow, counsel for the Industrial  
25 Gas Users Association. I am also here as counsel for  
26 Enwave, but I don't expect in that respect I will be active  
27 today.

28 MR. VELLONE: Good morning. John Vellone, counsel for

1 the Association of Power Producers of Ontario.

2 MR. YAUCH: Good morning, Brady Yauch on behalf of  
3 Energy Probe Research Foundation.

4 MS. GIRVAN: Julie Girvan on behalf of Consumers  
5 Council of Canada.

6 MR. BUONAGURO: Michael Buonaguro. I am counsel for  
7 the Canadian Biogas Association and the Ontario Greenhouse  
8 Vegetable Growers.

9 MR. RUBENSTEIN: Mark Rubenstein, counsel for the  
10 School Energy Coalition.

11 MR. QUINN: Dwayne Quinn on behalf of FRPO.

12 MR. MURRAY: Thank you. Now, having completed  
13 appearances I want to raise one preliminary issue.  
14 Everyone should have received a letter yesterday from  
15 Enbridge to the Board asking that the part of their  
16 application relating to the geothermal energy service  
17 program be held in abeyance at the current time. People  
18 should also have received a letter back from the Board  
19 confirming that that portion of the program will be held in  
20 abeyance, and so therefore the questions at today's  
21 technical conference should be limited to the RNG aspects  
22 of the application and questions about the geothermal are  
23 not to be asked today.

24 I'm not sure if anyone has any questions or comments  
25 or wants to make any statements. If so, now is a good  
26 time, otherwise we can get going with Mr. Stevens  
27 introducing the panel.

28 MR. STEVENS: Jump in quick. Good morning, everybody.

1 I will just briefly introduce the three witnesses from  
2 Enbridge today for the RNG portion of this application, and  
3 then the witnesses have just a brief sort of -- some brief  
4 introductory remarks.

5 So starting closest to Madam Reporter we have Abbas  
6 Chagani. Abbas is a specialist in the business development  
7 group. In the middle we have Steve McGill, who is the  
8 technical manager in the business development group, and  
9 finally we have Malini Giridhar. Malini is vice-president,  
10 market development, regulatory, and public affairs with  
11 Enbridge Gas.

12 And with that, I will turn it over to the witness  
13 panel.

14 **ENBRIDGE GAS DISTRIBUTION INC. - PANEL 1**

15 **Abbas Chagani**

16 **Steve McGill**

17 **Malini Giridhar**

18 **PRESENTATION BY MS. GIRIDHAR:**

19 MS. GIRIDHAR: Good morning, everyone. So what we  
20 will do is quickly tell you what portions of the evidence  
21 we will each be speaking to, so I'm here to talk to sort of  
22 policy issues and, in particular, some of the recent turn  
23 of events that have occurred in Ontario and what it means  
24 for some of these programs.

25 MR. MCGILL: I'm Steve McGill, and I was actively  
26 involved in the development of both our geothermal energy  
27 service and RNG enabling program businesses, and I've also  
28 been looking after our community expansion program as well.

1 I'm here today to speak to general questions about our RNG  
2 proposal and some of the rationale behind that.

3 MR. CHAGANI: Good morning. My name is Abbas Chagani.  
4 I'm here to speak about the technical and financial  
5 modelling aspects of the RNG application.

6 MS. GIRIDHAR: So first I do have a brief statement  
7 concerning the company's letter of June 25th that was  
8 already referred to. As noted in the letter to the Board  
9 on June 25th, Enbridge remains committed to abating carbon  
10 emissions and to supporting the expansion of geothermal  
11 energy systems for Ontario homeowners and others.

12 However, given the impending change in the Ontario  
13 government and pronouncements made by members of the  
14 incoming government regarding the cancellation of the  
15 province's cap-and-trade program and the Green Ontario Fund  
16 programs, Enbridge is of the view that it is prudent to  
17 temporarily set aside a portion of this application  
18 concerning its geothermal energy service program at this  
19 time.

20 However, Enbridge is of the view that the  
21 circumstances concerning renewable natural gas are  
22 different, in that a market for RNG and its environmental  
23 attributes already exists in British Columbia, Quebec, and  
24 other parts of North America.

25 Further, some potential Ontario biogas producers,  
26 particularly some municipalities, have an interest in  
27 upgrading biogas into RNG for their own use as a means of  
28 achieving the goals of their community energy plans,

1 and in the event that cap-and-trade is wound down Enbridge  
2 will be seeking a new variance account to record and clear  
3 the annual sufficiency/deficiency associated with the RNG  
4 enabling program.

5 Finally, the federal government is proposing the  
6 introduction of the Clean Fuel Standard, known as CFS, as a  
7 regulation under the Canadian Environmental Protection Act,  
8 or CEPA, and this regulation is expected to be completed in  
9 the fall of 2019 for enforcement in 2021/'22, and I would  
10 like to explain why this is relevant.

11 Enbridge and the Canadian Gas Association, CGA, are  
12 engaged in this process, and we understand that CFS will be  
13 distinct from and apply over and above carbon pricing.

14 What CFS seeks to do is to regulate the reduction of  
15 carbon intensity of fossil fuels from production to end-  
16 use. In other words, the government will establish a  
17 baseline for carbon intensity and then require reductions  
18 in their carbon intensity all the way from production to  
19 end-use.

20 So the expectation is that qualifying measures for CFS  
21 will relate to -- relating to natural gas will include  
22 renewable natural gas, hydrogen, methane capture, fuel  
23 switching, and carbon capture.

24 Interestingly, what we also understand about CFS is  
25 that there will be a market mechanism, but you cannot  
26 comply simply by procuring a market instrument. That would  
27 be limited to, say, 30 or 35 percent of the production, so  
28 you can't claim somebody else's reduction in carbon

1 intensity as your own. Each participant would actually  
2 have to reduce the carbon intensity related to their  
3 activity.

4 So the CGA is participating on behalf of the natural  
5 gas industry to ensure that, you know, the regulations are  
6 appropriate, but we're also seeking federal funding for  
7 renewable natural gas similar to the funding provided for  
8 renewable electricity and biofuel industry in the past.

9 It is important to note that other jurisdictions such  
10 as B.C. and Quebec already have regulatory mechanisms to  
11 facilitate RNG and also have RNG facilities in operation.  
12 What this means is that not moving forward with the RNG  
13 enabling service at this point puts Ontario ratepayers at a  
14 disadvantage relative to other jurisdictions should these  
15 regulations on reducing carbon intensity become enforceable  
16 and should funding to comply become available, hence the  
17 urgency to proceed with this at this point in time.

18 Also note that not moving forward at this time puts  
19 Ontario biogas producers, particularly municipalities that  
20 already have projects in execution or in planning phases,  
21 at a disadvantage.

22 Over the course of the next few weeks the company will  
23 review its geothermal energy service program proposal,  
24 consult with stakeholders, and other interested parties  
25 with respect to the implications of the incoming  
26 government's policies as they relate to this proposal.  
27 Once this work is completed, Enbridge anticipates bringing  
28 forward updated evidence in support of its geothermal

1 energy services program that will address the changes in  
2 the government's climate change and carbon pricing  
3 policies.

4 As indicated in our letter to the Board, we anticipate  
5 that we will provide an update to the Board concerning the  
6 geothermal energy service proposal on or before August  
7 31st, 2018.

8 So with that, we will be available for questions.

9 MS. KLEIN: Board Staff have a number of questions.  
10 We circulated them yesterday, I believe.

11 MR. MURRAY: The draft questions that were circulated  
12 by OEB Staff will be marked as an exhibit, Exhibit KT1.1.

13 **EXHIBIT NO. KT1.1: BOARD STAFF TECHNICAL CONFERENCE**  
14 **QUESTIONS**

15 **EXAMINATION BY MS. KLEIN:**

16 MS. KLEIN: The first question, A: Given that  
17 Enbridge's upgrading service is an optional service and  
18 other companies can provide this type of service to Ontario  
19 RNG producers, please explain why the upgrading service  
20 could not be offered by an affiliate of Enbridge Gas.

21 MR. MCGILL: So I guess the short answer is that the  
22 service could be offered by an affiliate of Enbridge Gas  
23 Distribution. We don't believe that that would be an  
24 appropriate way to do that, given that the cost for the  
25 service would end up being significantly higher if done by  
26 an affiliate, or another party in the marketplace, given  
27 that that business or program would need to compete, in the  
28 case of Enbridge internally, for capital against other

1 projects and result in a higher cost of capital that would  
2 need to be recovered through the rates charged for the  
3 service.

4 So I don't know if you want to go through -- you've  
5 got your other sub points there...

6 MS. KLEIN: Can you please explain why it would be a  
7 higher cost than if it's between a regulated and an  
8 affiliate?

9 MR. MCGILL: Well, the regulated utility has an  
10 Ontario Energy Board-approved rate of return, which is the  
11 target return that we set our rates to recover, and that  
12 results in an overall cost of capital that those rates  
13 recover, whereas if you're working in an affiliate or  
14 otherwise in the competitive market, you are going to be  
15 competing for those sources of capital and depending on  
16 what projects are available or lines of business are  
17 available at any given point in time. You will probably  
18 find that you would have to incur a higher cost of capital  
19 in order to have those projects go ahead.

20 MS. KLEIN: Okay. So in terms of i.e. the business  
21 model change, and that would be the business model change  
22 would be competing internally with other capital projects  
23 within the affiliate?

24 MR. MCGILL: Well, I think that's an element or a  
25 consideration that would come into an account if an  
26 affiliate or another party were to consider offering a  
27 service like this.

28 We don't know what that service would look like, or



1 how similar it would be to what we are offering here. As  
2 far as we know, what we are doing is somewhat unique. But  
3 there are many different ways you could construct a  
4 business model to provide all or part of these services, or  
5 bundle them up in different ways, and I can't really  
6 comment on that, and they would vary from one party to the  
7 next.

8 MS. KLEIN: Okay. I'm sort of jumping around, but you  
9 were saying that it would be very different. So in B.C.  
10 and Quebec, they don't offer, let's say, a monthly fee? It  
11 can't be done on a monthly fee basis if it's done by your  
12 affiliate?

13 MR. MCGILL: Well again, in other models, you could  
14 have a volumetric fee; you could have a flat monthly fee,  
15 as we're proposing. It would all depend on the goals and  
16 the views of those parties that may want to participate in  
17 this type of business.

18 MS. KLEIN: So it can be done similar to the regulated  
19 in terms of a monthly fee; it depends?

20 MR. MCGILL: That's right. And as far as we know,  
21 there are no other parties offering a service that's  
22 comparable to what we are proposing here.

23 MS. KLEIN: Okay. So for A3, please explain whether  
24 RNG producers would be impacted by who offers upgrading  
25 service, EGD's affiliate or the regulated utility?

26 MR. MCGILL: Yes, and, you know, what we've indicated  
27 like earlier is that you would have this competition for  
28 capital that would likely result in higher costs, if this

1 were undertaken through an affiliate company or other third  
2 parties.

3 And then the other thing is that if a business was to  
4 take this on a stand-alone basis, it's not likely that they  
5 would, I guess, enjoy the benefits of the accelerated  
6 capital cost allowance associated with investments in  
7 biogas upgrading equipment and facilities.

8 So, you know, in order to gain the advantage of the  
9 accelerated capital cost advantage, you have to have income  
10 from other sources in order to apply that tax deduction  
11 against. So in order to achieve that, it would need to be  
12 a fairly large organization that already has an ongoing  
13 taxable stream of income in order to take advantage of that  
14 which, fortunately, we're in a situation where we can.

15 MS. KLEIN: Okay, question number 2.

16 MR. MCGILL: Yes?

17 MS. KLEIN: If you could describe the RNG programs in  
18 B.C. and Quebec, how they are similar and how they are  
19 different?

20 MR. MCGILL: Okay. So the current program in British  
21 Columbia is very similar to what we are proposing here.  
22 The principal difference is that in British Columbia,  
23 Fortis B.C. and the regulator there, the BCUC, has linked  
24 the procurement of renewable natural gas together with the  
25 process of upgrading the raw biogas to pipeline quality and  
26 injecting it into the baseline system.

27 So all of the costs associated with doing that --  
28 well, take a step back. The upgrading piece is largely an

1 optional part of the process, similar to what we are  
2 proposing here. But all of the costs associated with the  
3 production of that RNG are recoverable through Fortis  
4 B.C.'s rates. so upgrading, injection, and the cost of  
5 acquiring the raw biogas itself.

6 MS. KLEIN: Is it through Fortis BC or Fortis, their  
7 affiliate, the alternative energy --

8 MR. MCGILL: No, it's through the regulated entity,  
9 Fortis BC.

10 MS. KLEIN: Okay, and in Quebec?

11 MR. MCGILL: Maybe, Mr. Chagani any could elaborate on  
12 the situation there.

13 MR. CHAGANI: We're not as familiar with the program  
14 in Quebec from a upgrading and injection perspective. We  
15 understand that there is a procurement of RNG program. But  
16 from an upgrading and injection perspective, we don't have  
17 the familiarity with that program.

18 There is -- there are plants actually in Quebec that  
19 are injecting directly into TransCanada as well. So we  
20 could -- like TransCanada has an injection program that we  
21 could provide a little bit more of an overview of.

22 MS. KLEIN: So maybe --

23 MR. MONDROW: Could I ask one question on that topic,  
24 if that would be convenient?

25 MS. KLEIN: Yes.

26 MR. MONDROW: Mr. Chagani, can you confirm that in  
27 Quebec, the Regis determined a number of years ago that  
28 upgrading services should not be operated within a

1 regulated entity?

2 MR. CHAGANI: I'm not fully aware of that decision, so  
3 we could...

4 MR. MONDROW: No one on the panel is aware of what the  
5 regulator in Quebec has determined in respect of upgrading  
6 facilities? You haven't investigated that?

7 MR. STIERS: I think I can answer this sort of at a  
8 High level...

9 MR. MONDROW: Sorry, I first would like to know  
10 whether anyone in the business has investigated this.

11 MR. STEVENS: I was going to try and help you with  
12 that.

13 MR. MONDROW: Okay. Well, I mean, these folks are --  
14 why -- VP --

15 MR. MCGILL: As far as we know, the biogas upgrading  
16 assets would be a non-utility asset in Quebec.

17 MR. MONDROW: And the regulator has determined that  
18 must be the case in Quebec; is that not true?

19 MR. MCGILL: I don't know if they've determined it  
20 must be the case, but that is the case, as I understand it  
21 today.

22 MR. MONDROW: The regulator has determined that  
23 upgrading facilities cannot be put in regulation; are you  
24 aware of that, Mr. McGill?

25 MR. MCGILL: I'm aware that they are not in  
26 regulation. I don't know the Régie's decision word for  
27 word.

28 MR. MONDROW: Okay. So --

1 MR. STEVENS: The problem we've encountered, Ian, is  
2 the decisions we've found so far are in French and we have  
3 not had them translated, so while we've been able to have a  
4 little bit of discussion to try to understand at a high  
5 level what's happening, we don't know the details because  
6 we simply haven't seen the translated versions.

7 I believe that Mr. Chagani was starting in his  
8 conversations with Board Staff to offer that we could take  
9 this away and provide more details, but that's going to  
10 take us some time to find the English versions of things.

11 MR. MONDROW: Thanks.

12 MS. DeMARCO: Sorry, if I -- there we go. If I could  
13 just jump in here, because -- and jump to the chase, I'm  
14 going to ask for an undertaking to provide those decisions  
15 and the related programs across the country of Ontario,  
16 Quebec, and TCPL's related to RNG, so it might be time-  
17 saving if I just put that undertaking on the record right  
18 now.

19 So both the description of the programs and the  
20 associated regulatory decisions associated with those  
21 programs.

22 Would you provide that undertaking?

23 MR. MCGILL: Yes, we can do that.

24 MS. KLEIN: And can we include the charges, if there's  
25 going to be charges, also too, on that undertaking?

26 MR. MCGILL: We will look to see if there's monthly  
27 charges, and if we can find them we will provide them.

28 MR. MURRAY: That will be Undertaking JT1.1.

1           UNDERTAKING NO. JT1.1: TO PROVIDE THE DECISIONS AND  
2           THE RELATED PROGRAMS ACROSS THE COUNTRY INCLUDING  
3           ONTARIO, QUEBEC, AND TCPL'S RELATED TO RNG. ALSO TO  
4           PROVIDE MONTHLY CHARGES IF FOUND.

5           MS. KLEIN: Question 3.

6           MR. MCGILL: Yes.

7           MS. KLEIN: Please provide the GHG reductions of a  
8           typical RNG project with EG outlining its assumptions. The  
9           GHG reductions are to be attributable to EGD's upgrading  
10          and injection service, not to the RNG, the biogas  
11          commodity.

12          MR. CHAGANI: So I think the question is a little bit  
13          unclear to me, but I can try and frame it and you can let  
14          me know if I'm on the right path here.

15          So when you mean the RNG, not the RNG commodity, you  
16          mean, like, the natural gas aspect, I believe, not the  
17          environmental attributes associated with the gas; is that  
18          correct?

19          MS. KLEIN: It's sort of linked to my question number  
20          4. What I'm trying to get is the environmental attributes,  
21          yes, and --

22          MR. CHAGANI: So for a typical RNG, like a small-size  
23          plant that would take in, let's say, 500 million cubic  
24          metres of raw biogas per year as an input, the output,  
25          assuming about 50 percent methane in that raw biogas, would  
26          be 2.5 million cubic metres of gas per year.

27          The environmental -- or the tonnes of CO2 avoided  
28          would be 4.6 -- sorry, 4,600 tonnes equivalent that would

1 be avoided, and that is based on the ON.400 emission factor  
2 of 0.001875 tonnes of CO2 per M3 -- yeah, go ahead.

3 MS. KLEIN: Is that -- maybe you can with an  
4 undertaking show the calculations and this way we can all  
5 see them. Is that -- is the environmental attributes,  
6 though, connected with the supplier or is it connected to  
7 the upgrading and injection service? Because the upgrading  
8 service is you're cleaning the gas and the injection  
9 service is you're building a pipeline, so I'm trying to  
10 connect the GHG connected to your services versus to the  
11 actual -- the supplier of the biogas.

12 MR. MCGILL: All right, so that's really the second  
13 part of this question. And the way to look at it is that  
14 the environmental attributes are associated with the RNG  
15 commodity that's produced, and that the upgrading and  
16 injection services that we're planning to offer facilitate  
17 the production of that RNG, so in our model any of the  
18 environmental attributes associated with that RNG that's  
19 produced would vest with the producer of the biogas.

20 So depending on what kind of carbon pricing regimes  
21 are in place, whatever carbon offset value is associated  
22 with that RNG, that would go along with the RNG, and our  
23 customer would be able to sell those environmental  
24 attributes, presumably, as well as sort of the pure gas  
25 commodity itself.

26 MS. KLEIN: Okay.

27 MR. MCGILL: Does that help you or...

28 MS. KLEIN: Yes. So Staff understands it that the

1 upgrading and injection services don't have sort of GHG  
2 reductions, like, no GHG reduction would be reduced in  
3 your -- let's say your compliance obligation in a cap-and-  
4 trade market, but the GHG reductions are connected to the  
5 commodity itself?

6 MR. MCGILL: So under the current rules, I'll put it  
7 that way, to the extent that RNG is injected into our  
8 system, that would reduce on a one-for-one basis in terms  
9 of tonnes of carbon the allowance purchase requirement the  
10 company has under the cap-and-trade regulations today.

11 MS. KLEIN: But that assumes that you're buying the  
12 biogas? I'm kind of confused. Why would you --

13 MR. MCGILL: No, because we don't even need to buy the  
14 biogas, so the way the GHG or the carbon emission reporting  
15 rules work is that the gas that comes into our system is  
16 measured at the gate stations. Based --

17 MS. KLEIN: Okay.

18 MR. MCGILL: -- on that there is a conversion, the  
19 formula to convert that volume of natural gas into tonnes  
20 of carbon emissions, and that's what our allowance  
21 requirement is based on, but part of that determination is  
22 that any gas sourced from biomass you subtract from the  
23 carbon allowance requirement, so there's a one-for-one --  
24 this is the way the rules are written today. So there is a  
25 one-for-one benefit just by injecting the gas into our  
26 system, and then wherever it goes to beyond that, there's  
27 further potential offset benefits that would initially  
28 accrue to the producer that they may be able to sell in the



1 market for offsets, or RINs in the U.S., whatever.

2 MS. KLEIN: Can you -- we're doing an undertaking in  
3 terms of the GHG calculation. Can you put in the rules and  
4 include all of that together in that undertaking?

5 MR. MCGILL: Yes, we can give you the references to  
6 the Ontario regulations with respect to GHG reporting.

7 MS. KLEIN: Okay --

8 MS. GIRVAN: Could I ask a question -- sorry, Steven.  
9 What rules are you talking about? Are these the rules  
10 underlying the cap-and-trade program?

11 MR. MCGILL: I believe it is the GHG ON.400. It's the  
12 GHG reporting requirements, which is what our allowance  
13 purchase requirement is based on.

14 MS. GIRVAN: But that is tied to the cap-and-trade  
15 program. Yes, okay.

16 MR. MCGILL: I tried to make that clear up front, that  
17 as of today that's the current rules.

18 MS. GIRVAN: Yeah, no, sorry, I was just -- when you  
19 talked about "rules" I wanted to be clear --

20 MR. MCGILL: Yeah --

21 MS. GIRVAN: -- on what rules you are talking about.

22 MR. MURRAY: Just before we have any more questions, I  
23 just want to mark that undertaking -- sorry, as an  
24 undertaking, JT1.2, the GHG calculation and related  
25 information that would be provided.

26 **UNDERTAKING NO. JT1.2: TO PROVIDE THE GHG CALCULATION**  
27 **AND RELATED INFORMATION, IN RELATION TO OEB STAFF**  
28 **TEHCNICAL QUESTION #3.**

1 MR. MCGILL: Just to clarify that, Julie, those rules  
2 and regulations were in place before cap-and-trade, and as  
3 part of our overall GHG reporting requirements, and that's  
4 the way they were reported, and then when cap-and-trade  
5 came in it translated into the determination of the  
6 allowance requirement.

7 MS. KLEIN: Lisa?

8 MS. DeMARCO: I'm happy to ask further questions on  
9 that when I go -- if you want to complete because I'm next,  
10 or whatever works best for you.

11 MS. KLEIN: I'm okay.

12 MS. DeMARCO: Just to clarify that last point, I  
13 believe you're talking about the regulatory requirements  
14 pursuant to Regulation 416.99 as amended?

15 MR. MCGILL: I would have to check that, but you are  
16 probably correct.

17 MS. DeMARCO: And then the associated guidance  
18 document for quantification associated with greenhouse  
19 gases and allowances for regulated emitters; is that fair?

20 MR. MCGILL: Yes. Are we ready for question 4?

21 MS. KLEIN: No, sorry.

22 MR. MONDROW: Is that a rhetorical question?

23 MS. KLEIN: No, actually we are going through question  
24 4, and I'm going 4b. So if EGD is recovering any  
25 deficiencies from this program in its GHG-customer variance  
26 account, please explain how ratepayers are not funding this  
27 program.

28 MR. MCGILL: I think we had an interrogatory response

1 that explained that, and if you just give us a moment,  
2 we'll track that down.

3 But, you know, at a high level -- let me make sure  
4 I've got the right question here -- 4b, yes.

5 So over the term of the contract the sufficiencies  
6 that these investments generate will equal or exceed the  
7 deficiency amount. So on a net present value basis over  
8 the life of these contracts, customers stand to benefit  
9 financially through the fees that we charge for the  
10 service, or the rates we charge for the service.

11 And then in the case of the upgrading service, because  
12 of the significant capital cost allowance benefits through  
13 the income tax that are payable, the upgrading aspect of  
14 the service in sufficiency in the early years so that it  
15 isn't even deficiency situation. It is actually  
16 contributing to reduce rates in the early years, and then  
17 it trues-up over the life of the contract to provide a  
18 small net benefit to ratepayers overall.

19 MS. KLEIN: And would the RNG producer be considered a  
20 ratepayer?

21 MR. MCGILL: Yes, we'd be charging them -- our  
22 proposal is to charge them an OEB-approved rate, so I would  
23 call them a ratepayer.

24 MS. KLEIN: So would they be getting sort of any of  
25 the -- anything in the deferral account, they would be  
26 paying for that, too, or the variance account?

27 MR. MCGILL: They wouldn't be seeing that in the fee  
28 for the upgrading or injection service. But to the extent

1 that they are a gas customer for other needs, they would be  
2 picking up part of that cost through the cost allocation  
3 process, or the clearing of the variance account and the  
4 cost allocation process through whatever rate schedule they  
5 were taking sort of basic service under from us.

6 MS. GIRVAN: Can I just interject? So they're a  
7 distribution customer?

8 MR. MCGILL: Yes.

9 MS. GIRVAN: Under what rate class?

10 MR. MCGILL: Well, we are proposing under rate classes  
11 400 and 401.

12 MS. GIRVAN: Okay.

13 MR. QUINN: Laurie, if I may, that answer kind of  
14 confused me. Are you saying that variance account would  
15 only be cleared to customers in rate 400 or 401?

16 MR. MCGILL: No.

17 MR. QUINN: So it's to all customers?

18 MR. MCGILL: Yes.

19 MR. QUINN: Okay. So it's not only visited upon those  
20 who are participating in an RNG market? It's all customers  
21 are at risk for balances in the deferral account?

22 MR. MCGILL: Well, we are asking all customers to --  
23 assuming that there is a debit balance in the deferral  
24 account, we would be asking all customers to cover that  
25 debit balance.

26 We would also be returning the sufficiencies once the  
27 project reaches a point where the revenues exceed the  
28 revenue requirement for the project, and we return the

1 sufficiencies.

2 So the way the model works, when you set a rate to  
3 achieve a PI of greater than 1.0 over the life of the asset  
4 on a discounted cash flow basis, you end up returning a  
5 sufficiency to the customers that actually makes rates  
6 lower overall over that complete period of time.

7 MR. QUINN: I have some more questions in that area,  
8 but I'll defer to later. But you said setting the PI at  
9 greater than 1.0.

10 MR. MCGILL: Yes.

11 MR. QUINN: When you design the rate, what are you  
12 establishing that number to be?

13 MR. MCGILL: Well, in the example we have in evidence,  
14 we've set the PI to be 1.1. And the reason we did that was  
15 because if you go back and go through EBO 188, the Board's  
16 feasibility guideline for gas system expansion, what it  
17 requires for our investment portfolios, both the rolling  
18 portfolio and the overall investment portfolio, is that we  
19 maintain a minimum PI of 1.0.

20 So what that means is that over the life of the  
21 assets, existing customers aren't subsidizing new  
22 customers. And then EBO 188 goes somewhat further and says  
23 that we should add a safety margin to that 1.0.  
24 Traditionally, that safety margin has been an extra 0.1, so  
25 we typically target to operate those portfolios to achieve  
26 profitability index figures or PIs of 1.1. So that's what  
27 we've used here in the example we have in evidence.

28 MR. RUBENSTEIN: If I could just clarify something?

1 When you talked about clearing the deferral account to  
2 customers --

3 MR. MCGILL: Yes.

4 MR. RUBENSTEIN: -- you were talking about customers  
5 who are consuming natural gas, so not rate 400 -- I don't  
6 know if it's rate 400 that you are proposing for this or  
7 401, not rate 400 and 401. Those customers will only pay  
8 for the life of the contract, the fee?

9 MR. MCGILL: Yes.

10 MR. RUBENSTEIN: And so the comments about, meaning if  
11 I'm a landfill now so -- and a gas customer somewhere else  
12 in my -- I have a building...

13 MR. MCGILL: Well, you are most likely a gas customer  
14 at the site where the RNG is produced, as well.

15 MR. RUBENSTEIN: Fair enough. But it's not with  
16 respect to 400 and 401. They are only paying the fixed  
17 fee.

18 MR. MCGILL: Not the way our proposal is set right  
19 now. So it is their gas consumption under whatever gas  
20 distribution rate they would be taking service under, where  
21 they would see the clearing of the variance or deferral  
22 account coming back to them.

23 But what we've done in rates 400 and 401 is we've  
24 designed those such that we can have a set levelized charge  
25 throughout the life of the contract, and the main reason we  
26 need to do that is to give the producer some certainty  
27 around what their costs are going to be produce the gas --  
28 or the RNG, rather.

1           And the reason that's important is because in order to  
2 get these investments off the ground, we believe that the  
3 producers are going to need to enter into long-term sales  
4 contracts for the RNG. So by giving them a set price for  
5 long period of time, they should be able to -- they should  
6 be able to do that, and have a reasonable expectation of  
7 recovering their investment and the part of the facility  
8 that they are financing over the life of their sales  
9 contracts whereby they are selling RNG to parties in the  
10 marketplace.

11           MS. KLEIN: Can I clarify then? So when they issue,  
12 the RNG producer is considered a ratepayer. If they're not  
13 a gas consumer, they wouldn't be considered a ratepayer?

14           MR. MCGILL: No, I would consider them a ratepayer  
15 because, as I said earlier, we are proposing that rate 400  
16 and rate 401 are Ontario Energy Board-approved rates, so I  
17 would consider them ratepayers. It is a different style of  
18 rate.

19           MS. KLEIN: Yes, but if they're not gas consumers,  
20 they -- the variance account wouldn't be recovered. They  
21 wouldn't be part of that recovery.

22           MR. MCGILL: That's correct, they wouldn't see a  
23 clearing of the --

24           MS. KLEIN: Okay.

25           MR. MCGILL: -- if they only took rate 400 and/or rate  
26 401 services from us, then they wouldn't see any charges  
27 coming back to them from the clearing of that variance or  
28 deferral account.

1 MS. FRASER: Or any returns?

2 MS. GIRIDHAR: Or credits.

3 MR. MCGILL: Yes, or the later sufficiencies typically  
4 in later years. So they are held neutral.

5 MS. KLEIN: Okay.

6 MR. MCGILL: And bear in mind that the way the rate is  
7 set is such that overall, there will be a net sufficiency,  
8 so they're not participating in that benefit.

9 MS. KLEIN: Okay.

10 MR. MCGILL: Okay?

11 MS. KLEIN: Question number 5a: Please explain what  
12 other support EGD is seeking.

13 MR. MCGILL: So I think most of the people here are  
14 aware that we did have an RNG procurement process underway  
15 earlier this year, and that was premised on the belief that  
16 we were going to be supported with funding from the  
17 provincial government to the tune of \$100 million that  
18 would be available to basically subsidize the cost of  
19 procuring RNG supplies.

20 Sometime, I guess it was late in April, we were  
21 advised by the province that that would be put on hold  
22 pending the outcome of the election that happened a couple  
23 of weeks ago, so that at that point in time we notified the  
24 respondents to our RFP that we were putting the RFP process  
25 on hold and that we would revisit it, you know, if and when  
26 we find an alternate way of funding the program.

27 But we still have a lot of potential RNG producers  
28 that are interested in investing in RNG production



1 facilities in terms of, you know, anaerobic digesters or  
2 building facilities associated with landfills or wastewater  
3 treatment plants. Most of those are municipal governments,  
4 so that there is still a demand for this kind of service in  
5 the marketplace today, even though that Green Energy Fund  
6 funding isn't available to support the utility's  
7 procurement of RNG at this point of time.

8 MS. KLEIN: So the fact that the -- there is no longer  
9 the RNG procurement model or it's been put on hold, that  
10 this hasn't impacted your RNG enabling program takeup?

11 MR. MCGILL: No, we still are going ahead with the one  
12 customer that we have entered into agreements with to  
13 provide these services to them, and we're in discussions  
14 with one or two others today that also want to pursue this  
15 kind of model.

16 MS. KLEIN: So your estimate of up to 37 RNG  
17 production facilities operating by 2025, that hasn't been  
18 impacted at all, or...

19 MR. MCGILL: I think it would be impacted. I think  
20 there might not be as many as quickly as there otherwise  
21 would have been. But there's still a large amount of  
22 interest in the market.

23 MS. GIRIDHAR: If I could just add to that? In my  
24 opening statement I did talk about federal regulations that  
25 are likely in the form of clean fuel standards, and should  
26 they pass, you know, we do believe that the interest in RNG  
27 will pick up again just to comply with those regulations.

28 MR. QUINN: May I, Laurie, follow up on that?

1 MS. KLEIN: Yes.

2 MR. QUINN: I appreciate, Ms. Giridhar, the  
3 explanation up front, but is there evidence about what the  
4 draft regulations are or anything on the record for us to  
5 have a sense of what may be impending and why Enbridge is  
6 of the view that this will pick up again?

7 MS. GIRIDHAR: So we are part of an industry  
8 stakeholder group that is participating in these federal  
9 discussions. I guess I just have to go back and find out  
10 if we are able to share the materials that the government  
11 has shared at these task-force meetings, so why don't I  
12 take that away.

13 MR. QUINN: I would appreciate that, and to be clear,  
14 I would be looking for what the government is saying. I  
15 understand the CGA may have its views, and as vested  
16 stakeholders in the process I would be interested in what  
17 the government is now saying and what may be coming at us  
18 that would underpin that renewed interest in RNG.

19 MS. GIRIDHAR: Yeah, so certainly subject to the  
20 federal governmental allowing us to provide the materials,  
21 we will --

22 MR. QUINN: Okay. Thank you very much.

23 MR. MURRAY: So we will mark that as an undertaking,  
24 JT1.3.

25 **UNDERTAKING NO. JT1.3: TO PROVIDE INFORMATION ABOUT**  
26 **AND/OR COPIES OF DRAFT REGULATIONS IF AVAILABLE THAT**  
27 **OUTLINES THE REGULATIONS TO SUPPORT BIOGAS INJECTED IN**  
28 **ONTARIO TO BE USED BY COMPANIES IN WA; TO FILE PUBLIC**

1           DOCUMENTS FOR COMMENT ON THE CLEAN FUEL STANDARD FROM  
2           CANADA AND THE PUBLIC COMMENTS ON THE DRAFT RENEWABLE  
3           FUEL STANDARD FROM ONTARIO, FILED ON THE RESPECTIVE  
4           RFS AND CFS PROGRAMS.

5           MS. DeMARCO: I just wonder if I could add to that  
6           undertaking. The government has produced public documents  
7           for comment on the Clean Fuel Standard, similar the Ontario  
8           government has produced public comments on Ontario's  
9           renewable fuel standard. Could you file both of those  
10          public documents that both the Government of Canada and the  
11          Government of Ontario have filed on the respective RFS and  
12          CFS programs?

13          MR. McGILL: Yes, we can do that.

14          MR. MURRAY: That will be same undertaking, JT1.3.

15          MS. KLEIN: 5c, please explain whether Enbridge Gas's  
16          affiliate, Gazifère, is considering procuring biogas in  
17          Ontario.

18          MR. McGILL: It is our understanding -- yeah, so it is  
19          our understanding that Gazifère was pursuing an RNG  
20          procurement model. It was very similar, if not the same,  
21          as what we were pursuing, and it is premised on some  
22          government support.

23          And the other aspect to that is that it wouldn't  
24          necessarily be limited to RNG supplies originating in  
25          Quebec, so Ontario production would qualify as a source of  
26          RNG under their program. So if there is RNG produced in  
27          Ontario, you know, they could enter into contracts to  
28          procure it for use in Quebec.

1 MS. KLEIN: So that's Gazifère and other companies in  
2 the cap-and-trade --

3 MR. MCGILL: In Quebec, so --

4 MS. KLEIN: -- in Quebec.

5 MR. MCGILL: -- so presumably GMI would be in the same  
6 position.

7 MS. KLEIN: Okay. Now, is that the same -- would  
8 California also qualify for that, that if Ontario is  
9 producing RNG, California companies, it would qualify?

10 MR. MCGILL: It's my understanding that under the  
11 WCI --

12 MS. KLEIN: Yes.

13 MR. MCGILL: -- that would be the case, so given the  
14 current state of affairs we're not certain how this is  
15 going to unwind --

16 MS. KLEIN: So if we're -- oh --

17 MR. MCGILL: Excuse me.

18 [Witness panel confers]

19 MR. MCGILL: Yeah, so just to be clear, the WCI  
20 participants can source RNG from anywhere in North America,  
21 and then it qualifies for -- as an offset to their  
22 allowance requirement or carbon allowance requirement --

23 MS. KLEIN: So anywhere in North America, so Ontario  
24 doesn't -- for whatever reason, Ontario is no longer part  
25 of the WCI. They -- so anywhere in North America WCI -- so  
26 California, Quebec can source RNG in Ontario?

27 MR. MCGILL: Well, I think, yes, you know, subject to  
28 what happens around the WCI. The RNG can be sold anywhere

1 in North America, and then it's just a question of what the  
2 environmental attributes would be valued at in various  
3 jurisdictions, so --

4 MS. KLEIN: What rule is that?

5 MR. MCGILL: Pardon me?

6 MS. KLEIN: What rule is that in the WCI? Where is  
7 that? Do you have the source for...

8 MR. CHAGANI: So my understanding of the program is  
9 that it's not a WCI program specifically, it is actually a  
10 U.S. EPA program. It's under the RIN, which is a renewable  
11 identification number, and there are certain participants  
12 that are required to purchase these renewable  
13 identification numbers, so there is a track for this RNG to  
14 be, I guess, piped into the U.S. down to the consumer that  
15 requires that, which will then produce a renewable  
16 identification number.

17 Now, the specific regulations and, I guess, the  
18 overall program, we -- or at least I don't have a full  
19 understanding of where it's all based out of. It is a  
20 U.S.-based program, but at a high level that's the gist of  
21 it.

22 MS. DeMARCO: I wonder if I could jump in with an  
23 undertaking here. Perhaps you are conflating the  
24 California Low Carbon Fuel Standard, the Federal EPA  
25 Renewable Fuel Standards, and I wonder if you could you  
26 undertake to provide with us a clear delineation of the  
27 associated valuation of all of the elements that -- of the  
28 renewable fuel requirements that you are working under,

1 including the California Low Carbon Fuel Standard, the  
2 Federal EPA Associated Renewable Fuel Standard, and the  
3 Ontario Renewable Fuel Standard, and the Canadian Clean  
4 Fuel Standard?

5 MR. STEVENS: I'm sorry, I am a bit confused by the  
6 notion of all the standards you are working under. I mean,  
7 I assume these would be the standards that the producers  
8 would be working under. I mean, Enbridge isn't talking  
9 about being the producer or the owner of this RNG.

10 I'm just trying to fit it into the relief sought in  
11 this case.

12 MS. DeMARCO: Yes. I'd understood that, in fact,  
13 Enbridge is claiming ownership of the indirect greenhouse  
14 gas reductions and potential environmental attributes from  
15 transporting the fuel, whereas the biogas producer is  
16 claiming ownership of the direct emission reductions  
17 associated from that. But I could have that wrong.

18 MR. MCGILL: No, our proposal is that the producer of  
19 the biogas would retain the rights to all the environmental  
20 attributes associated with the RNG that's produced, so that  
21 we wouldn't be taking a position in any of those potential  
22 offsets, or RINs, or whatever other vehicles come about.

23 MS. DeMARCO: Just so that I'm clear, you would in  
24 fact be taking a position in terms of the displacement  
25 emissions associated with what's at your gate and what you  
26 now have quantified as decreased allowances, but what could  
27 be quantified as voluntary emission reductions or other  
28 emission reductions in other programs.

1 MS. GIRIDHAR: Under the other GHG reporting rules  
2 that are in existence today, but obviously absent a cap-  
3 and-trade framework. I mean, we have to determine what  
4 value that is for us.

5 MS. DeMARCO: Just so I'm clear...

6 MS. GIRIDHAR: There is a reporting value to it, but  
7 at this point, there is no monetary value if cap-and-trade  
8 did not survive. I think that was the sense in which we  
9 said the environmental attributes go with the gas.

10 MR. MCGILL: So even the value of those environmental  
11 attributes under cap-and-trade would still rest with the  
12 producer of the gas, the RNG in our model. They wouldn't  
13 necessarily come to Enbridge through the process of  
14 providing the enabling service.

15 MS. DeMARCO: So perhaps we're stepping -- tripping  
16 over the definition of environmental attributes. You've  
17 got the direct emission reductions associated with the non  
18 emission of biogas, right?

19 MR. MCGILL: Right.

20 MS. DeMARCO: One class of environmental attributes.  
21 Those stay with the biogas producer; that's fair?

22 MR. MCGILL: Yes.

23 MS. DeMARCO: And then you have displacement  
24 emissions. You don't have regular natural gas going on  
25 your pipeline, you have RNG going on your pipeline.

26 MR. MCGILL: Yes.

27 MS. DeMARCO: And right now, those are quantifiable,  
28 valuable in the form of decreased allowances that you're

1 required to purchase.

2 MR. MCGILL: So that secondary benefit fit I would  
3 refer to as the substitution benefit which, through the  
4 existing reporting regulation, reduces our allowance  
5 purchase requirement.

6 So that benefit is coming to the utility and its  
7 customers, by virtue of the fact that it reduces the number  
8 of allowances or offsets we have to acquire and then  
9 subsequently recover the cost within rates.

10 MS. DeMARCO: So the substitution or displacement  
11 benefit remains yours, whether or not you are under Ontario  
12 cap-and-trade, a federal carbon tax, or otherwise, fair?

13 MR. MCGILL: Yes.

14 MS. DeMARCO: And then there is a third classification  
15 of instruments that fall within your definition of  
16 environmental attributes, and those could be eligible  
17 instruments under other programs including lower carbon  
18 fuel standards; fair?

19 MR. MCGILL: Potentially, yes, depending on how that  
20 legislation unfolds.

21 MS. DeMARCO: Ontario-related lower carbon fuel  
22 standards, the renewable fuel standards, Canadian clean  
23 fuel standards, U.S. EPA renewable fuel standards, and then  
24 California --

25 MR. MCGILL: And then California.

26 MS. DeMARCO: -- low carbon fuel standard.

27 MR. MCGILL: Yes.

28 MS. DeMARCO: So those environmental attributes are



1 also to the account of the biogas producer?

2 MR. MCGILL: Yes.

3 MS. DeMARCO: So three types of environmental  
4 attributes, two to their account, one to yours?

5 MS. GRICE: Yes.

6 MS. DeMARCO: Could you please undertake to provide  
7 that delineation, who gets what and how the calculations  
8 work?

9 MR. MCGILL: We can attempt to do that, yes.

10 MR. MURRAY: That will be undertaking JT1.4.

11 **UNDERTAKING NO. JT1.4: TO PROVIDE A DELINEATION OF**  
12 **ENVIRONMENTAL ATTRIBUTES, WHO GETS WHAT AND HOW THE**  
13 **CALCULATIONS WORK.**

14 MS. KLEIN: I'm not too sure, Lisa, if that solves --  
15 my question was: So any -- the RNG that is put in  
16 Enbridge's distribution system now can be bought anywhere  
17 in North America? Not just the U.S., it's North America.

18 MR. MCGILL: Yes.

19 MS. KLEIN: So California, anywhere in North America,  
20 okay. I just want to confirm that.

21 MR. CHAGANI: So that is our understanding, but it has  
22 not been tested yet as there is no RNG production in  
23 Enbridge's region right now.

24 But our understanding is that any jurisdiction that  
25 requires RNG would be able to purchase it once it's  
26 injected into a natural gas distributor within North  
27 America.

28 MS. KLEIN: How would you test this? What would --

1 you would have to get a contract and see if it...

2 MR. MCGILL: Well, it would be one -- it would be an  
3 Ontario RNG producer that would enter into a contract to  
4 sell their RNG, and the instruments perhaps that are  
5 associated with that RNG production.

6 My understanding is the way the rules work,  
7 particularly in the U.S., is that once the RNG is injected  
8 into a certified pipeline, then the environmental  
9 attributes in terms of RINs, offsets, et cetera, basically  
10 are separated from the gas and from that point on, the gas  
11 is just treated like any other volume of natural gas. But  
12 then these other instruments sort of take on a life of  
13 their own and have a value in various carbon markets.

14 MS. KLEIN: Okay. Question number 6.

15 MR. MCGILL: Yes?

16 MS. KLEIN: A: Please explain whether the agreement  
17 with the City of Toronto includes Enbridge Gas procuring  
18 any of the biogas from the City of Toronto.

19 MR. MCGILL: So this is an easy one. The answer is  
20 no.

21 MS. KLEIN: Okay. Do you know if the City of Toronto  
22 has signed any sort of contracts for its biogas, or...

23 MR. MCGILL: No, and we wouldn't be privy to that  
24 information in any case. I think it's really up to the  
25 city what they decide to do with the RNG that is produced  
26 out of their facility.

27 MS. KLEIN: Right. Question number 7.

28 MR. MCGILL: Yes.

1 MS. KLEIN: If the OEB approves Enbridge Gas' and  
2 Union Gas' Amalco application, please explain whether  
3 Enbridge Gas will start entering into discussions with  
4 municipalities in Union's current service territory for its  
5 RNG enabling program.

6 MR. MCGILL: Well, I think we are awaiting the Board's  
7 decision in our two MAADs applications -- I guess there's  
8 four all together across the two organizations right now.  
9 That will have a bearing on how and to what extent  
10 integration does take place between the two entities and  
11 that's something that we'll have to address, you know,  
12 these programs, along with many others, in terms of how  
13 they are going to be delivered by that integrated entity  
14 and I think it is premature to try to speculate on exactly  
15 how that will unfold.

16 MS. KLEIN: Okay, thank you.

17 MS. ZHANG: Question 8: Please identify any  
18 precedents where Enbridge Gas used the EBO 188 guideline  
19 for the TCF analyses for rate-setting purposes.  
20 Specifically, please identify any precedents where revenues  
21 or service fees are the outputs from the analyses to  
22 achieve a PI greater than 1.0.

23 MR. MCGILL: Yes. So I think the best example of that  
24 is our rate 125 bypass rate, where we basically follow the  
25 same process we're using under rate 400 and 401 to  
26 determine the rate for these RNG upgrading injection  
27 facilities.

28 So in terms of rate 125, that is exactly how we can do

1 it. We determine the cost of the facilities. We determine  
2 the revenue requirement over the life of those facilities  
3 that's required to recover depreciation, return and tax and  
4 O&M costs associated with them, and that's what becomes the  
5 rate under rate 125.

6 MS. ZHANG: Just to clarify, are we talking about the  
7 demand charge or the volumetric charge?

8 MR. MCGILL: It's the billing charge.

9 MR. QUINN: If I may, the billing charge, are you  
10 saying is it a monthly service fee that is rate 125 or is  
11 it a demand charge based upon a certain right to a certain  
12 amount of volume?

13 MS. GIRIDHAR: So for rate 125 we do have a rate that  
14 is derived as an outcome of a cost allocation process. For  
15 dedicated rate 125 customers served off a dedicated line,  
16 we have a bypass competitive calculation that uses this DCF  
17 process to set a billing contract demand, which then  
18 becomes the basis for rate 125's charges.

19 MR. QUINN: So billing contract demand which gives  
20 them a right to a certain volume on a daily basis or a  
21 monthly basis?

22 MS. GIRIDHAR: It's used -- the billing contract  
23 demand is used for the sole purposes of billing the  
24 customer, is my recollection, so I worked on it 15 years  
25 ago, so apologies, my memory is not great.

26 MR. QUINN: No problem, Malini. I am just, I'm trying  
27 to discern between a variable charge based on how much  
28 volume they are taking or it's just a, here's your bill

1 every month, it is the same amount every month independent  
2 of volume.

3 MS. GIRVAN: It is a fixed rate. It's --

4 MR. QUINN: Fixed rate. So fixed rates, so it's more  
5 like a demand --

6 MS. GIRIDHAR: Correct, just like a --

7 MR. QUINN: Okay. Thank you.

8 MR. BUONAGURO: May I ask one follow-up question? Is  
9 it also based on a PI of 1.1?

10 MR. CHAGANI: It is based on a PI of 1.

11 MR. BUONAGURO: Thank you.

12 MS. ZHANG: Okay, (b), (b) describes a methodology  
13 where the service fees can be determined through -- on a  
14 present-value basis, the service fee can be determined to  
15 be equivalent to the revenue requirement.

16 Can you please discuss if Enbridge had considered this  
17 type of a methodology to assess service fees. If so,  
18 please explain why Enbridge Gas decided not to use this  
19 methodology. If not, why not?

20 MR. MCGILL: So, like, our understanding of the  
21 methodology you've described in the question is that it is  
22 -- results in the same outcome as the regular PI  
23 calculation. It's just a different way of stating the same  
24 equation, so that -- you know, and that's what we've used  
25 in determining, in the example we have in evidence, what  
26 the monthly charges would be under rate 400 and 401 in this  
27 example.

28 So -- and again, we've, you know, we set the PI to

1 1.1, so it's basically just -- what you're proposing is  
2 just basically a reworking of the PI calculation that would  
3 end up with exactly the same result as what we have  
4 proposed.

5 MS. ZHANG: No, what is described here is, calculate  
6 the service fees based on the revenue requirement rather  
7 than based on the discounted cash flow. So say over the 20  
8 years we can calculate the accumulated present value of the  
9 revenue requirement.

10 MR. MCGILL: Yes.

11 MS. ZHANG: And then we can get a fixed -- still a  
12 fixed -- a constant monthly -- monthly service fees that  
13 can get the summation of the present value over the 20  
14 years, which is equal to the revenue requirement.

15 MR. MCGILL: But that's --

16 MS. ZHANG: So here we were not touching the cash  
17 flow, we were just looking at the revenue requirement over  
18 the term of the contract.

19 MR. MCGILL: Okay. The way I understand what you are  
20 proposing is that the net present value of the revenue  
21 requirement is what becomes the numerator in the PI  
22 calculation. The denominator in the PI calculation is the  
23 net present value of the cost of providing that service, so  
24 that's the net present value of the capital asset, cost of  
25 capital, tax impacts, and O&M cost, so you have the net  
26 present value of the revenue stream divided by the net  
27 present value of the costs, and you set that revenue  
28 requirement as the numerator in order to achieve a PI of 1

1 or greater and the PI calculation, which is what we did to  
2 calculate the rates under Rate 400 and 401, so as far as I  
3 can make out, we're basically doing this the way you've  
4 proposed. It's just that the mathematics -- it's just the  
5 equation is turned around mathematically, but it just ends  
6 up in the same result.

7 MR. MONDROW: I don't understand that. If the request  
8 is to calculate a revenue requirement which is based by  
9 definition on cost --

10 MS. KLEIN: I can't hear you.

11 MR. MONDROW: -- return -- pardon?

12 MS. KLEIN: Trouble hearing you. I don't think that  
13 mic's working. Sorry.

14 MR. MONDROW: If the calculation is based on a revenue  
15 requirement, which is driven by definition by cost, why  
16 would you then have a denominator at all? Why wouldn't you  
17 calculate a revenue requirement based on the costs and  
18 simply levellize that, so divide by number of years?

19 MR. MCGILL: Well, that's basically what we do, but we  
20 are following the methodology in EBO 188, so it sets out  
21 the PI calculation exactly, what goes into the numerator,  
22 what goes into the denominator. You calculate a PI, so if  
23 the PI turns out to be less than 1, then that customer  
24 addition in the typical sense would be subsidized by  
25 existing customers.

26 MR. MONDROW: I understand, but the numerator in that  
27 calculation is not a revenue requirement, it is a cash  
28 flow, right? Maybe you get to the same answer, but the

1 process is actually a different process, and I think  
2 they're asking for that process.

3 MR. MCGILL: Well, I think it's a distinction without  
4 a difference --

5 MR. MONDROW: Maybe.

6 MR. MCGILL: -- in that it's the net -- what's in the  
7 numerator or the PI calculation is the net present value of  
8 the net revenue over the life of the --

9 MR. MONDROW: The net revenue, but not the revenue  
10 requirement; those are different concepts. They may be the  
11 same number, but they are different concepts.

12 MR. MCGILL: Yes.

13 MR. MONDROW: And there is no denominator involved in  
14 that. You just take the revenue requirement and you divide  
15 it by the number -- well, I guess there is. It is the  
16 number of years.

17 MR. MCGILL: Yeah.

18 MR. MURRAY: Perhaps it might be helpful -- would it  
19 be possible for Enbridge to give an undertaking to show --  
20 like, I understand your position is at the end you get to  
21 the same number, but there's different calculations to get  
22 to that number, so could you do the calculation using  
23 discounted cash flows and beside it using revenue  
24 requirement so you can kind of show how you go through the  
25 calculation and the number you get to in the end?

26 MR. MCGILL: Just give us a moment.

27 [Witness panel confers]

28 MR. CHAGANI: So to answer Lawren's question, we can



1 undertake to do that, but I will bring your attention to  
2 Appendix 5 and Appendix 6, so Appendix 5 is the DCF  
3 calculation that you are referring to, okay?

4 Appendix 6 is actually the revenue-requirement  
5 calculation that seeks -- that achieves a PI of 1.1. So  
6 perhaps an addition to this revenue-requirement calculation  
7 showing the present value. So if we were to go to line 15  
8 and line 17, if we were to take the present value of those  
9 two lines, what we would see is that one divided by the  
10 other would be 1.1.

11 In your example you are saying if the two could equal,  
12 which would result in 1 divided by the -- so 16 divided by  
13 -- sorry, 15 divided by 17 would be equal to 1, in our case  
14 it's 1.1, so we could undertake to show that present value  
15 calculation if that's helpful.

16 MR. MURRAY: Yes, that would be helpful. That will be  
17 Undertaking JT1.5.

18 **UNDERTAKING NO. JT1.5: TO PLEASE PREPARE AN ANALYSIS**  
19 **THAT DERIVES THE LEGALIZED SERVICE FEE THAT IS**  
20 **EQUIVALENT TO THE REVENUE REQUIREMENT (APPENDIX 6,**  
21 **LINE 15) ON THE PRESENT VALUE BASIS OVER THE SERVICE**  
22 **LIFE OF THE ASSET.**

23 MS. ZHANG: Can I clarify one more thing here? In  
24 Appendix 6 here you are saying that line 15 over line 17,  
25 in the way I described here, will get a PI 1.0, so my  
26 understanding is that Enbridge Gas -- what Enbridge Gas is  
27 proposing here is a methodology to set rates.

28 So even if we get a 1.1 here like in some other cases,

1 the PI value depends on the capital spending and O&M  
2 spending, the PI value can be different.

3 So which means -- so, what I'm proposing here is to do  
4 a calculation to determine their service fees based on  
5 revenue requirement, then go back to do the TRC analysis  
6 and see if we can get a PI greater than 1 or not.

7 MR. CHAGANI: So the methodology that you are  
8 describing is the methodology that we undertook to  
9 calculate do the calculate line 17.

10 I just want to take a step back. I said 15 divided by  
11 17 would equal 1.1. It is actually the opposite. Line 17,  
12 which is the service revenue over the 20-year term, if we  
13 were to take the present value of that divided by line 15,  
14 which is the revenue requirement -- sorry, the present  
15 value of the revenue requirement, that would equal 1.1.

16 The way that we have calculated line 17 is first  
17 determining what the present value of the revenue  
18 requirement is, line 15, and then goal seeking a set rate  
19 over the 20-year term that would give us a present value  
20 equal to 1 or greater.

21 So to answer your question, I think we're doing  
22 exactly what you've described.

23 Now, the one thing we want to add to that is that when  
24 you have a revenue requirement that's different than your  
25 revenue, on a year to year basis you will see a sufficiency  
26 and a deficiency. That's what we are trying to recover  
27 with the variance account.

28 But over that 20-year term, because the present value

1 of the two of them will be equal, the sufficiencies will  
2 cancel out the deficiencies. And in this example, when  
3 it's greater than 1, the sufficiencies exceed the  
4 deficiencies over the life of the contract.

5 MR. MURRAY: Okay, thank you. Those are all the  
6 questions for OEB Staff. Next on the list is Ms. DeMarco.

7 **EXAMINATION BY MS. DEMARCO:**

8 MS. DeMARCO: Thanks very much. I'm going to try and  
9 be surgical about what Board Staff has very graciously let  
10 us interject in already, and try to streamline a bit.

11 Broadly, Ms. Giridhar, you spoke very basically to the  
12 impact of government's -- now the provincial changing  
13 government announcements on the RNG program. I wonder if  
14 you could specifically comment on the impact of that on  
15 your mandated to undertake the RNG program.

16 MS. GIRIDHAR: You know, I should remind us here that  
17 we first came to this Board with an RNG program in 2011,  
18 long before cap-and-trade came into existence. So we  
19 believe that despite the pronouncements of the incoming  
20 government on cap-and-trade, this new incoming government  
21 has not actually said that carbon emissions reductions is  
22 not important to them.

23 To the best of our understanding, they have actually  
24 talked about a \$500 million fund for carbon emissions  
25 reductions.

26 So the focus on carbon emissions reductions remains  
27 and certainly Enbridge, quite apart from Enbridge Gas  
28 Distribution, operates in -- I can't remember how many

1 states and how many provinces in both the U.S. and Canada,  
2 and we seek to work with the local -- the government  
3 policies in each of these jurisdictions.

4 In our view, emissions reductions continues to remain  
5 a focus. RNG is a means of achieving emissions reductions,  
6 and as we look at carbon pricing and regulations  
7 complementing each other in this space, we note that there  
8 are several regulations that we will continue to be  
9 subjected to, whether they emanate from the federal  
10 jurisdiction, we note that several municipalities have  
11 community energy plans. I'm told that 80 percent of our  
12 customers live in municipalities with community energy  
13 plans that specifically look to carbon reduction, or are  
14 targeting carbon reductions.

15 So for all of these reasons, our focus on RNG remains,  
16 despite the provincial government's views on carbon  
17 pricing.

18 MS. DeMARCO: Is it fair to say that commitment is  
19 from your C suite on down?

20 MS. GIRIDHAR: As I said, Enbridge does believe it has  
21 a responsibility to look at emissions reductions across all  
22 of its jurisdictions, and to respond to the various levels  
23 of government in how it designs its programs.

24 So I think it's fair to say that commitment exists all  
25 the way down.

26 MS. DeMARCO: Specifically in relation to the  
27 granularity of this application, many of your references  
28 refer to the associated avoided allowance costs, the

1 associated regulatory regime, mandatory regulatory regime,  
2 and all of your financial statements associated with it.

3 I'm just going to try to name them all, but you'll  
4 forgive me if I've missed one.

5 It's Exhibit B, tab 1, schedule 1, appendix 5 on  
6 general economic feasibility, appendix 6 on the revenue and  
7 revenue requirement generally with the RNG service writ  
8 large, and then appendix 7, specific to the RNG injection,  
9 the economic feasibility, appendix 8 specific to the  
10 revenue and revenue requirement associated with the RNG  
11 injection services, and then finally your ultimate rate  
12 design, rate 400 and 401 changes, all in fact stem from  
13 some of the mandates; is that fair?

14 [Witness panel confers]

15 MR. MCGILL: All of the exhibits you've referenced  
16 have been formulated through our adherence to the EBO 188  
17 feasibility guideline, which has been around since 1998 or  
18 1999. So it predates all of the carbon cap-and-trade,  
19 carbon pricing legislation that's been in place in Ontario.

20 So what we've done is we've tried to build this  
21 business model as a utility business model, using existing  
22 regulatory frameworks and guidelines that have been in --  
23 some of them have been in place for many, many years.

24 So the way those exhibits were constructed and the way  
25 those figures are calculated are consistent with those pre-  
26 existing regulatory frameworks and guidelines, and would  
27 not be impacted at all by the government's legislation with  
28 respect to carbon pricing in Ontario.

1 MS. DeMARCO: So I'll get into the specifics of the  
2 statements. But generally, the mandate that you state,  
3 that is the impetus for this application is in part the  
4 Ontario cap-and-trade system; fair?

5 MR. McGILL: I think that was one of the underlying,  
6 driving considerations behind the RNG enabling model that  
7 we constructed. But it has been designed so that it will  
8 stand up and work with or without carbon pricing in  
9 Ontario, and that's what we're proposing to do.

10 There's parties that are interested in producing RNG  
11 and that -- you know, we feel it's an important and an  
12 appropriate part of the role of the gas utility to help  
13 them and facilitate that -- the production of that gas.

14 MS. GIRIDHAR: I'm just going to jump in here --  
15 sorry, go ahead.

16 MS. FRASER: Wouldn't it be fair to say that the value  
17 of carbon reductions hasn't changed; the mechanism has --  
18 may be changing depending on what the government actually  
19 does. But the value of reducing carbon to the environment  
20 has not changed; the pricing mechanism has changed?

21 MS. GIRIDHAR: I think what -- because our proposal  
22 stands on its own whether we have a provincially-mandated  
23 carbon pricing or not.

24 If you look at our customers that are wanting the  
25 service -- for example, municipalities -- they have goals  
26 around carbon reduction that they are trying to fill with  
27 this. We understand that there are other industrial  
28 customers, for whatever reason -- corporate social

1 responsibility, or whatever. They may be operating in  
2 carbon jurisdictions elsewhere. For whatever reason, there  
3 is a demand for RNG from municipalities and other consumers  
4 of natural gas, whether or not a provincial carbon pricing  
5 regime exists, so to that extent I do agree with you.

6 And I do want to point out, you know, I mean, just as  
7 a leader of this team, I am very impressed with the  
8 innovative approach that the team has taken in terms of  
9 actually using all of the principles that already exist,  
10 the precedents that the Board has already established in  
11 its regulation of natural gas, in coming up with this  
12 proposal that we have here. So we are relying on EBO 188.  
13 We are relying on precedents where the Board has permitted  
14 a plain-vanilla utility offering to coexist with  
15 competitive offerings. We are using the way the Board has  
16 looked at cost allocation. So all of these principles are  
17 long-standing principles in the derivation of this  
18 proposal.

19 MS. DeMARCO: So maybe it is easier if we just jump  
20 right into the specific schedules to get to where I'd like  
21 to go to get a better understanding of it, but before we do  
22 that, fair to say that in the absence of an Ontario cap-  
23 and-trade program every indication right now is that there  
24 will be a federal back-stop tax; fair?

25 MR. MCGILL: That's our understanding, that the  
26 federal government intends to implement some form of  
27 carbon-pricing regime next year.

28 MS. DeMARCO: And instead of decreased allowance

1 purchases you will have decreased taxes if you pursue --  
2 decreased carbon taxes if you pursue this program; is that  
3 fair?

4 MR. MCGILL: I would say that's potentially, yes,  
5 depending on the specific requirements of the federal  
6 legislation and how it's going to work.

7 MS. DEMARCO: Perhaps we can turn to Exhibit B, tab 1,  
8 Schedule 1, Appendix 5, which is your RNG BMS economic  
9 feasibility. And I see a number of aspects of page 3 there  
10 where you go through the spreadsheet of how you come up  
11 with the associated NPV and PI and then the associated  
12 revenue requirement on the next schedule, which is  
13 Appendix 6.

14 And very specifically, you've got the rate base  
15 aspects that are coming to bear, in terms of the cost that  
16 you estimate it will require to provide the service; do I  
17 have that right?

18 MR. MCGILL: Yes, well, the schedule sets out or  
19 determines the revenue requirement and then compares that  
20 to the forecast revenue in each year, and the netting of  
21 those two figures results in an annual revenue deficiency  
22 or sufficiency as the case may be from one year to the  
23 next.

24 MS. DEMARCO: Right. So you've got an associated rate  
25 base and then at line 10 is return on rate base; is that  
26 fair?

27 MR. MCGILL: Yes.

28 MS. DEMARCO: And then line 11 is O&M, which is your



1 cost of providing the services.

2 MR. MCGILL: Yes.

3 MS. DeMARCO: Municipal taxes, depreciation, et  
4 cetera. What I'm not seeing here, and correct me if I'm  
5 wrong, is either O&M or other savings associated with  
6 decreased allowance purchases or decreased cost.

7 MR. MCGILL: Okay, so what we've done here is we've  
8 used the EBO 188 feasibility calculations to determine what  
9 the revenues are we need in order to support the investment  
10 and the facility that's assumed in this example and achieve  
11 that profitability index of 1.1 in this example, so that  
12 there's no provision in EBO 188 to take into account other,  
13 call them ancillary benefits that might accrue to either  
14 the individual customer that's taking the service or  
15 ratepayers in general. So we didn't attempt to try to  
16 model in any sort of overall carbon abatement benefit into  
17 these calculations, because we're doing our dead-level best  
18 to adhere to the requirements of EBO 188.

19 MS. DeMARCO: But just to be clear, that value, the  
20 actual savings, the lack of expenditure, doesn't accrue to  
21 the customers generally, it's for you. You have to require  
22 -- you have to purchase fewer allowances or will have to  
23 pay less tax; is that fair?

24 MR. MCGILL: Well, no, to the extent our allowance  
25 requirement is reduced through the injection of natural --  
26 or RNG into the gas distribution system, that's a benefit  
27 that flows through to all of our ratepayers through the  
28 entire cap-and-trade mechanism, so we have an allowance

1 requirement. We purchase the allowances on a forecast  
2 basis. The cost of those allowances are included in our  
3 gas distribution charge. The variances between the  
4 forecast cost of those allowances and the actual cost  
5 allowances over time are tracked in the customer GHG  
6 variance account and then periodically cleared through to  
7 rates to true-up from the forecast of the carbon allowance  
8 cost to the actual.

9 So to the extent that bringing these RNG facilities  
10 online reduces the allowance requirement, it reduces the  
11 number of allowances we have to purchase and it also  
12 reduces the amount -- or the cost of those allowances that  
13 we have to recover in rates.

14 So the entire benefit flows through to the general  
15 ratepayer population, not the company.

16 MS. DeMARCO: Okay, so fair to say the savings are not  
17 reflected in this calculation?

18 MR. McGILL: That's fair to say, yes.

19 MS. DeMARCO: And all customers appear to be  
20 benefiting from what the biogas producer is paying for; is  
21 that fair?

22 MR. McGILL: They would be benefiting to the extent  
23 RNG is injected into the gas distribution system.

24 MS. DeMARCO: I wonder if I can ask you to update  
25 these appendices, 5, 6, 7, 8 to reflect a line item showing  
26 at least a reasonable estimate of the range of savings?

27 MS. GIRIDHAR: What carbon -- based on a carbon price?

28 MS. DeMARCO: Avoided allowance purchases currently,

1 as it currently stands, or avoided carbon tax at the  
2 announced price, the legislated -- now legislated price of  
3 \$20 a tonne?

4 MR. MCGILL: I think we can take that away and attempt  
5 to do that. Sitting here off the top of my head I'm not  
6 quite sure how we would introduce that into, you know, the  
7 feasibility model. But we could identify what those  
8 benefits would be based on the example we have in evidence,  
9 and then it would be a matter of determining how we  
10 introduce -- whether or not it is appropriate to introduce  
11 them into the feasibility calculation that is driving the  
12 rate we're setting. So -- and you would introduce lots of  
13 questions: Well, should that benefit go back to the RNG  
14 producer through a reduced fee for these service or should  
15 it flow through the GHG customer variance account and be  
16 for the benefit of all customers? We have to make certain  
17 assumptions around that kind of treatment --

18 MS. DEMARCO: So we'll get to the cost allocation  
19 portion later, but just, can we get the undertaking on the  
20 record that you'll undertake to provide these charts with  
21 the associated carbon abatement savings or reasonable  
22 estimate thereof, whether it be the Ontario allowance --

23 MR. MCGILL: I will attempt to reflect that. I'm just  
24 not sure -- we can add it as a separate line item to the  
25 table.

26 MR. MURRAY: That will be Undertaking JT1.6.

27 **UNDERTAKING NO. JT1.6: TO PROVIDE THE CHARTS WITH THE**  
28 **ASSOCIATED CARBON ABATEMENT SAVINGS OR REASONABLE**

1           **ESTIMATE THEREOF.**

2           MR. YAUCH: Can I ask a question about the undertaking  
3 before you move on, sorry, Lisa? Each reduction -- tonne  
4 of reduction of carbon as a result of renewable natural  
5 gas, according to your other proceeding, is significantly  
6 higher than the cost of just a carbon credit, correct? It  
7 was in the hundreds of dollars per each tonne reduced?

8           MR. MCGILL: You are referring to the cap-and-trade  
9 compliance plan proceeding?

10          MR. YAUCH: Yeah. Yes, so if you do this undertaking,  
11 do you factor that in that each unit of gas, renewable  
12 natural gas, is actually a really expensive way to reduce  
13 carbon?

14          MR. MCGILL: Well, based on the way our reporting  
15 requirements work, I don't think there is a cost to the  
16 utility of injecting RNG into the system.

17          MR. YAUCH: Assuming you get the full subsidy from the  
18 government to make up the difference, right?

19          MR. MCGILL: No, but because it is a one-for-one  
20 reduction in the number of allowances we have to buy, so  
21 there is a benefit to the ratepayer as a result of that  
22 with basically no cost to the utility. So it's --

23          MR. RUBENSTEIN: Can I clarify something and --  
24 working on the assumption that you do not procure RNG in  
25 your gas supply through a contract --

26          MR. MCGILL: Yes.

27          MR. RUBENSTEIN: -- but someone else somewhere else  
28 does.

1 MR. MCGILL: Yes.

2 MR. RUBENSTEIN: But the cap-and-trade program still  
3 exists -- let's work under the current framework. Do I  
4 understand that just because -- there's a contract and  
5 someone -- the fact that it's still just being injected  
6 into your system, you gain essentially the gas supply.

7 MR. MCGILL: Our customers derive the benefit.

8 MR. RUBENSTEIN: But at the same time, the  
9 environmental attributes remain with the producer to then  
10 sell through an offset, or some other mechanism?

11 MR. MCGILL: That's correct.

12 MR. MONDROW: And is that benefit only if the gas is  
13 consumed in Ontario?

14 MR. MCGILL: That's not my understanding.

15 MR. MONDROW: So if the gas goes into your system and  
16 ends up in California, you still have a reduced allowance?

17 MR. MCGILL: That's my understanding as to the way the  
18 GHG reporting requirements work, and the way our allowance  
19 purchase requirements work because they are based on the  
20 GHG reporting.

21 MS. DeMARCO: So can we just walk through this again,  
22 because I think the clarification of what you're calling  
23 environmental attributes helps get through some of these  
24 challenges.

25 We have the direct emission reduction from the biogas  
26 producer. They are not emitting that methane which has a  
27 global warming potential of 25 times that of CO<sub>2</sub>. Is that  
28 the source?

1 MR. MCGILL: Twenty-two times, but...

2 MS. DeMARCO: I believe it's 25 times, subject to  
3 check, with the most recent IPCC reports; is that fair?

4 MR. MCGILL: It's on that order of magnitude, yes, in  
5 terms of methane destruction.

6 MS. DeMARCO: And then the second source of emissions  
7 reductions is the displacement, or what you are calling  
8 substitution environmental attributes. That is you don't  
9 have regular -- I had to go dig in the ground to get it  
10 natural gas produced by some natural gas producer in  
11 Alberta coming onto your system. You have captured  
12 renewable natural gas coming onto your system and that is  
13 the displacement emissions reduction or -- substitution  
14 emission reduction, in your terminology.

15 MR. MCGILL: Yes.

16 MS. DeMARCO: And then there is a third type of  
17 environmental value, which we are lumping into that  
18 category of an environmental attribute. And that's not  
19 based on the quantified GHG reductions, but more based on  
20 programs that exist for low carbon fuels. Is that right?

21 MR. MCGILL: Those programs give rise to instruments  
22 in the form of offsets, or RINs in the United States, that  
23 have...

24 MS. DeMARCO: I want to be really clear on this point.  
25 A RIN is not an offset, correct?

26 MR. MCGILL: Correct.

27 MS. DeMARCO: A RIN is a regulatory program benefit  
28 that is a function of a government allocation for renewable

1 natural gas; fair?

2 MR. MCGILL: Yes. I guess what I'm trying to say is  
3 it results in an instrument that can be traded in the  
4 market for some value. But it's not the same as an offset.

5 MS. DEMARCO: A RIN doesn't have a GHG quantification  
6 associated with it. It is an instrument allocated per unit  
7 of gas injection, fair?

8 MR. MCGILL: Yes.

9 MS. DEMARCO: So all of those things you are calling  
10 environmental attributes here?

11 MR. MCGILL: Yes.

12 MS. DEMARCO: Okay. So what we're talking about is  
13 not per se double counting of GHG reductions. It's  
14 qualifying for whatever program value you can?

15 MR. MCGILL: Yes.

16 MS. DEMARCO: Okay. So we have that undertaking from  
17 you to go through and delineate the GHG emission reductions  
18 and the associated values, and the programs, and the  
19 quantification of each?

20 MR. MCGILL: Yes.

21 MS. DEMARCO: Thank you. You have at page 13, B1.1,  
22 table 1, a general quantification of customer and system  
23 GHG abatement from RNG.

24 MR. MCGILL: Yes, we have the table.

25 MS. DEMARCO: So just -- now that we've got the  
26 clarification of the forms of environmental attributes,  
27 what do these quantification figures reflect? Direct,  
28 substitution, or RIN?

1 MR. MCGILL: Give us a moment.

2 MR. MONDROW: Lisa, are you talking about this table  
3 that's on the screen that has cubic metres?

4 MS. DeMARCO: Yes.

5 MR. MCGILL: So the exhibit you're referring to, or  
6 the table in the exhibit that you are referring to only  
7 sets out potential volumes of RNG. It does not quantify  
8 the associated GHG benefits.

9 MS. DeMARCO: So this table is translatable only to  
10 the direct emissions and potential emission reductions from  
11 the biogas producer?

12 MR. MCGILL: Well, I think -- yes, in terms of a  
13 substitution value, that is correct. But the volumes  
14 themselves would give rise to whatever additional carbon  
15 reduction value is associated with the gas.

16 MS. DeMARCO: So this doesn't reflect your  
17 substitution value; this reflects what's going on at the  
18 level of the biogas producer?

19 MR. MCGILL: Well, all this table is doing is setting  
20 out what the potential RNG volumes are from different  
21 sources of biogas feed stock.

22 MS. DeMARCO: Let's translate that into potential  
23 greenhouse gas reductions. If this is Canada's potential  
24 biogas production...

25 MR. MCGILL: This is Ontario.

26 MS. DeMARCO: There's both, right? Canada and  
27 Ontario.

28 MR. MCGILL: Yes.



1 MS. DeMARCO: The potential greenhouse gas reduction  
2 directly from those biogas producers is what, if you  
3 translated those numbers into greenhouse gas reductions?

4 MR. McGILL: I'm not sure if we have that in evidence  
5 or not.

6 MS. DeMARCO: I don't think you do. Would you  
7 undertake to provide it?

8 MR. McGILL: Yes, we can.

9 MS. DeMARCO: So that's the direct emission  
10 reductions. Let's go to the substitution.

11 MR. MURRAY: Before we go on, perhaps I can just take  
12 the undertaking, JT1.7.

13 MR. McGILL: Just to be clear, in terms of trying to  
14 associate GHG reduction values with these volumes of RNG,  
15 we are going to need to make some assumptions just around  
16 how much methane is being destroyed from each of those  
17 different feed stocks.

18 So in the case of landfill gas, if the methane is  
19 already being flared, the GHG reduction value is less, et  
20 cetera. So we will need to --

21 MS. DeMARCO: If you could just put your assumptions  
22 in the calculation, that would be great, regarding the  
23 methane -- additional methane destroyed, number one.

24 Number two, the global warming potential you are  
25 using.

26 MR. McGILL: Yes.

27 MS. DeMARCO: And if you need to use a range...

28 MR. McGILL: Yes, okay.

1 MS. DeMARCO: So we are just going to modify the  
2 undertaking to reflect that, if we can.

3 So getting back to the initial point, this is the  
4 direct emission reductions, the substitution value. Could  
5 you undertake to quantify the emission reductions, or the  
6 decreased emission reporting associated with the potential  
7 substitution value, if you captured this?

8 MR. McGILL: Yes, we can do that.

9 MS. DeMARCO: And third, could you attempt to quantify  
10 the potential RIN or other environmental attributes  
11 associated with what you are allowing to be injected?

12 MR. McGILL: In terms of tonnes of carbon, or...

13 MS. DeMARCO: In terms of RINs or other environmental  
14 instruments that have value.

15 MS. GIRIDHAR: I assume a treated value?

16 MR. McGILL: We can undertake to attempt to do that,  
17 yes.

18 MS. DeMARCO: Thank you. I appreciate that it's a  
19 difficult task, but I think it is viable valuable to  
20 everybody understanding what's going on here, and the Board  
21 understanding the real value of this program.

22 MR. MURRAY: I think it makes sense to put all three  
23 of those matters under the same undertaking, JT1.1.

24 **UNDERTAKING NO. JT1.7: (1) TO PROVIDE THE POTENTIAL**  
25 **GREENHOUSE GAS REDUCTIONS DIRECTLY FROM BIOGAS**  
26 **PRODUCERS; (2) TO QUANTIFY THE EMISSION REDUCTIONS, OR**  
27 **THE DECREASED EMISSION REPORTING ASSOCIATED WITH THE**  
28 **POTENTIAL SUBSTITUTION VALUE, IF YOU CAPTURED THIS;**

1           (3) TO ATTEMPT TO QUANTIFY THE POTENTIAL RIN OR OTHER  
2           ENVIRONMENTAL ATTRIBUTES ASSOCIATED WITH WHAT YOU ARE  
3           ALLOWING TO BE INJECTED, IN TERMS OF RINS OR OTHER  
4           ENVIRONMENTAL INSTRUMENTS THAT HAVE VALUE.

5           MS. DeMARCO: I was just going to ask -- I was going  
6           to ask about -- you've undertaken already to provide the  
7           regulatory decisions and description of all other RNG  
8           programs in Canada.

9           Secondly, my question is: In relation to the  
10          separation of the two aspects of the RNG service, as I  
11          understand it -- correct me if I'm wrong -- the upgrading  
12          service effectively you deemed as a competitive service,  
13          i.e. you're not obliged to go to Enbridge to upgrade, is  
14          that right?

15          MR. McGILL: We are offering upgrading as an optional  
16          service. As I think I indicated earlier, I don't believe  
17          that there's anyone offering something comparable to what  
18          we're proposing at this point in time.

19          There's equipment providers and contractors that  
20          install the equipment, but I don't know of anyone that's  
21          considering offering it is sort of a package service, as we  
22          are proposing to do.

23          MS. DeMARCO: But theoretically, someone else could  
24          upgrade and just take the injection service?

25          MR. McGILL: Yes.

26          MS. DeMARCO: And how theoretical is that? Is that a  
27          practical reality?

28          MR. McGILL: Oh, it's a practical reality, yes.

1 MS. DeMARCO: It is; okay, great.

2 And then the second part of the service, the injection  
3 service, is effectively a monopoly service; you are not  
4 providing others access to the pipeline to --

5 MR. McGILL: Well, our position is that it's our  
6 responsibility to inject natural gas RNG, perhaps hydrogen  
7 in the future, into our system, and that that's part of our  
8 role in ensuring the reliability, integrity, and safety of  
9 the system, so that we see that as a pure utility function.

10 MS. DeMARCO: I understand that's your position in  
11 terms of that being a pure utility function. Can you  
12 provide any analysis that you've undertaken to determine  
13 what is effectively competitive service for the upgrading  
14 and what is a monopoly service for the injection?

15 MR. McGILL: In terms of the upgrading or the  
16 injection?

17 MS. DeMARCO: So as I understand it you determine the  
18 upgrading is a competitive service, the injection is not,  
19 it's a monopoly service, and --

20 MR. McGILL: Okay, so the point I'm trying to make is  
21 that as far as we know there is no one offering the same  
22 kind of upgrading service that we are, so to characterize  
23 it as competitive, I guess potentially it could be. The  
24 way I'm characterizing it is it's an optional service, so  
25 if someone wants to do the upgrading themselves, as long as  
26 they can upgrade the gas to meet the pipeline standard that  
27 we have set, then we will inject that gas into our system  
28 for them. But I, you know, hesitate to characterize it as

1 a competitive service right now because, as far as I know,  
2 there is no competitors.

3 MS. DeMARCO: I'm happy to soften my language. A non-  
4 obligatory service; fair to say?

5 MR. McGILL: Yes.

6 MS. DeMARCO: Would you undertake to provide your  
7 analysis that went into determining that the upgrading  
8 service was a non-obligatory service but the injection is  
9 mandatory?

10 MR. McGILL: Yes, we can do that.

11 MS. DeMARCO: Thank you.

12 MR. MURRAY: That will be Undertaking JT1.8.

13 **UNDERTAKING NO. JT1.8: TO PROVIDE THE ANALYSIS THAT**  
14 **WENT INTO DETERMINING THAT THE UPGRADING SERVICE WAS A**  
15 **NON-OBLIGATORY SERVICE BUT THE INJECTION IS MANDATORY.**

16 MS. DeMARCO: We've gotten through the financial  
17 analysis piece. There are a few elements that I'd like to  
18 talk to you about in relation to other drivers to  
19 facilitate RNG, and can I ask you to comment -- with the  
20 business case -- or are you feeling any pressures to  
21 continue with the business case for RNG from, for example,  
22 the task force for carbon-related financial disclosures?

23 MR. McGILL: Not that I'm aware of, no.

24 MS. DeMARCO: Would you agree that the TCFD is calling  
25 for enhanced carbon-related disclosure, so for all public  
26 reporting issuers?

27 MR. McGILL: I'm sorry, I don't think we can answer  
28 these questions. We just don't have knowledge of what that

1 task force is doing.

2 MS. DeMARCO: Let me ask: Have you ever had a  
3 shareholder resolution relating to your greenhouse gas  
4 position?

5 MR. McGILL: I don't know.

6 MS. DeMARCO: Would you undertake to determine that?

7 MR. McGILL: Yes, we can undertake to look for that.

8 MS. DeMARCO: Thank you.

9 MR. MURRAY: That will be Undertaking JT1.9.

10 **UNDERTAKING NO. JT1.9: TO ADVISE WHETHER ENBRIDGE**  
11 **HAVE EVER HAD A SHAREHOLDER RESOLUTION RELATING TO ITS**  
12 **GREENHOUSE GAS POSITION.**

13 MS. DeMARCO: Can I ask you also, looking at the  
14 potential corporate-wide emission reductions that we just  
15 arrived at from two undertakings ago, can you put that in  
16 the context of your corporate-wide emissions, how  
17 significant it is to the corporate-wide greenhouse gas  
18 emissions?

19 MR. McGILL: Yes, I think we can undertake again to  
20 attempt to do that, yes.

21 MS. DeMARCO: Thank you. And if we can mark that?

22 MR. MURRAY: That will be Undertaking JT1.10.

23 **UNDERTAKING NO. JT1.10: RE: THE POTENTIAL CORPORATE-**  
24 **WIDE EMISSION REDUCTIONS FROM UNDERTAKING JT1.9, TO**  
25 **PUT THAT IN THE CONTEXT OF THEIR CORPORATE-WIDE**  
26 **EMISSIONS; HOW SIGNIFICANT IT IS TO THE CORPORATE-WIDE**  
27 **GREENHOUSE GAS EMISSIONS.**

28 MS. DeMARCO: I am very cognizant that I am well over

1 my time and my last series of questions are very specific  
2 to Indigenous populations and specifically what you propose  
3 to do.

4 As I understand it, starting at B1-1, paragraph 32 at  
5 page 11, 37 facilities estimated by 2025 on farms,  
6 wastewater treatment plants, food processing plants, and  
7 landfills; do I have that right?

8 MR. MCGILL: Yes.

9 MS. DeMARCO: Do you have a map of the proposed  
10 locations?

11 MR. MCGILL: We can undertake to determine if we have  
12 a map of those potential locations. Off the top of my head  
13 I don't know if we do or not.

14 MS. DeMARCO: Okay, and it would be fabulous if you  
15 could provide a map if you've got it of those proposed  
16 locations.

17 MR. MURRAY: That will be Undertaking JT1.11.

18 **UNDERTAKING NO. JT1.11: TO PROVIDE A MAP OF THE**  
19 **PROPOSED LOCATIONS REFERRED TO AT EXHIBIT B1.1, PAGE**  
20 **11, PARAGRAPH 32; TO PROVIDE A SECOND MAP OVERLAYING**  
21 **THE FIRST NATIONS AND INDIGENOUS COMMUNITIES IN THOSE**  
22 **SAME AREAS, FOR THE UPGRADING SERVICES AND THE**  
23 **INJECTION SITES.**

24 MS. DeMARCO: And so just so that I'm clear on that,  
25 it is for both parts of the service for the upgrading  
26 services and for the injection sites.

27 MR. MCGILL: Well, yes, I guess the potential exists  
28 for either both services or just the injection services at

1 any of those locations, yes.

2 MS. DeMARCO: So whatever you've got in terms of map  
3 would be very helpful.

4 MR. McGILL: Yes, we will check to see what we've got  
5 and provide what we have.

6 MS. DeMARCO: And I wonder if you could provide a  
7 second map overlaying the First Nations and indigenous  
8 communities in those same areas?

9 MR. McGILL: We can undertake to, again, attempt to do  
10 that.

11 MS. DeMARCO: So let's mark that as an undertaking.

12 MR. MURRAY: Why don't we include that as the same  
13 undertaking, JT1.11.

14 MS. DeMARCO: Thank you. I'm assuming, but I'm not  
15 sure if I'm correct in this assumption, that the injection  
16 services will be in and around the existing Enbridge  
17 pipeline and the easements that it's located on?

18 MR. McGILL: Well, the closer the RNG production  
19 facility is to our existing gas distribution system, the  
20 less costly the project will be, so -- and so distance from  
21 the existing facility has an impact on feasibility of these  
22 projects.

23 MS. DeMARCO: So just so that I'm clear on that point,  
24 injection isn't directly into your pipeline? You might  
25 have to build a little something to inject into?

26 MR. McGILL: Yes. So if the RNG production site was,  
27 let's say 20 kilometres away from our existing system, we'd  
28 have to build a 20-kilometre pipeline to connect the



1 injection facility to the gas distribution facility. So  
2 the cost of that pipeline would be attributable to the  
3 project and be part of the cost consideration that's  
4 included in the feasibility testing of the project, and  
5 what you would find is the way we would set the rates for  
6 that, because that pipeline connection would be included as  
7 part of the injection facility cost. It's just that the  
8 monthly fee would be that much higher. So let's say  
9 compared to a facility that was only one kilometre away  
10 from the existing system. It's like community expansion,  
11 but reversed.

12 MS. DeMARCO: So will there be related LTC  
13 applications or are they all exempt?

14 MR. McGILL: I believe that most of these will  
15 probably result in LTC applications.

16 MS. DeMARCO: Do you have an estimate of how many LTC  
17 applications we're looking at?

18 MR. McGILL: No.

19 MS. DeMARCO: So I was wrong in that assumption, so I  
20 guess we've got the map of approximately where they are.

21 MR. McGILL: Yes.

22 MS. DeMARCO: So that will be very helpful.

23 I have a couple of follow-up questions from the  
24 discussions to date, if you would just bear with me a  
25 second.

26 Ms. Giridhar, you spoke to on or before August 31st,  
27 2018 updating the GES evidence. I wonder if you could  
28 undertake to, as applicable, update the RNG evidence as

1 well?

2 MR. MCGILL: Well, to the extent we believe we need to  
3 update the RNG evidence we will. What we said in the  
4 letter is we would report back to the Board with respect to  
5 the geothermal energy service evidence by August 31st. I  
6 don't know if that would include updated evidence by that  
7 time, but we would provide an update as to how we had  
8 progressed to that point in time, which may or may not  
9 include revised evidence.

10 MS. DeMARCO: That's in relation to the GES, as I  
11 understand it.

12 MR. MCGILL: Yes.

13 MS. DeMARCO: I'm asking specifically should -- and  
14 I'm happy to take it that no updates are required -- but  
15 should updates be required to the RNG portion would you  
16 undertake to update the RNG evidence as well?

17 MR. MCGILL: Yes, if we need to, we will.

18 MS. DeMARCO: Can we get an undertaking on that?

19 MR. STEVENS: I'm not sure that's actually -- I'm not  
20 sure, Lisa, that's something we would actually answer as an  
21 undertaking. I think the answer that the panel has given  
22 is, should Enbridge determine it needs to update its  
23 application, it will do so.

24 I think everybody can take Enbridge's answer to be  
25 that, if there's no update, that Enbridge has determined  
26 that it's not necessary, but I don't think this is  
27 something that we would answer along with the bundle of  
28 undertakings that are otherwise being provided today.

1 MS. DeMARCO: I'm not going to stand on form over  
2 function. I'm happy to leave it as such.

3 My last series of questions relate to the nature of  
4 the charge. It's, as I understand it, a flat fee.

5 MR. McGILL: Yes.

6 MS. DeMARCO: For both services.

7 MR. McGILL: Yes.

8 MS. DeMARCO: It is not a volumetric charge.

9 MR. McGILL: That's correct.

10 MS. DeMARCO: And so theoretically, if they're hoping  
11 to inject a hundred metres cubed of RNG, they would pay the  
12 same flat fee?

13 MR. McGILL: That's right.

14 MS. DeMARCO: So pragmatically, what's the threshold  
15 size of RNG producer that you think will take the service?

16 MR. McGILL: Again, I think that depends on the nature  
17 of the feed stock, the location of the facility in relation  
18 to our existing facilities, you know, costs that are  
19 specific to the construction of the facility itself  
20 depending on the nature of the site, the ground conditions.  
21 It's going to vary from one instance to another.

22 MS. DeMARCO: So as I understand it, you've got about  
23 a \$60,000 flat fee for the injection service, and 107,000  
24 for the upgrade service.

25 MR. McGILL: In this example.

26 MS. DeMARCO: Okay. And you have four types of  
27 biogas-producing entities, is that right?

28 MR. McGILL: Well, at a high level, four sources of

1 biogas as a feed stock.

2 MS. DeMARCO: Can I ask you to undertake to estimate a  
3 threshold for each of those four types of feed stock  
4 sources that would take, or be able to pay 60,000 or  
5 107,000?

6 MR. McGILL: So the monthly fees, the 60 or the  
7 107,000 in the example we have, is driven by the cost of  
8 the specific facility.

9 So if we had another example with a facility that was  
10 half the size, half the cost, it wouldn't exactly be one-  
11 to-one, but I would expect the fees to be about 50 percent.

12 So the fee is scalable based on the capital -- largely  
13 the capital cost of the facility. I don't think the  
14 operating cost would change much from one facility to the  
15 next.

16 MS. DeMARCO: Do you have a minimum level of fee that  
17 you are willing to charge?

18 MR. McGILL: No.

19 MS. DeMARCO: So theoretically, your fees could be as  
20 low as \$100 for injection.

21 MR. McGILL: Theoretically, yes. Whether that would  
22 be practical or not is a...

23 MS. DeMARCO: That's what I'm trying to get at here,  
24 what's the practical reality of the scope and scale of  
25 these services that you're providing.

26 Perhaps you could undertake to provide some semblance  
27 of an understanding of what the bookends of the scope and  
28 scale of the services will be?

1           MR. MCGILL: We could take a look at that. But again,  
2 it's going to depend both on our side of the equation and  
3 the biogas producer side of the equation, So, you know,  
4 what we would do is we would investigate a potential  
5 producer site. We would determine the cost of the  
6 facilities and the cost of connecting the facilities to our  
7 existing system.

8           We would work out what the monthly rates would be for  
9 each of the upgrading and the injection service. We would  
10 go back to them, and then it would really be that biogas  
11 producer's decision as to whether or not their project was  
12 feasible based on those costs.

13           So it's really hard for us to try and pin down what  
14 sort of the minimum practical size would be, because it  
15 would largely be dependent on assumptions that the biogas  
16 producer is making around what the value of their end  
17 product is going to be, and we don't know that.

18           MS. DeMARCO: I'm happy and very much appreciate the  
19 precision challenges that you might have in doing this, and  
20 the assumptions that you might bring to bear.

21           But some semblance -- if you could undertake to  
22 provide some semblance of the scope where you, who are  
23 grounded in the practical realities of what gas customers,  
24 including biogas customers would accept, can give us a  
25 sense of what the bookends of this program are.

26           MS. GIRIDHAR: I think it's really hard to come up  
27 with the bookends, because we don't know what the value of  
28 that end product is for the customer.

1           So I think this would be almost impossible for us to  
2 determine what those bookends would be.

3           MS. DeMARCO: Perhaps if we go with an estimate of the  
4 federal tax value at \$50 a tonne? Would that help as an  
5 assumption?

6           [Witness panel confers]

7           MS. GIRIDHAR: So trying to be responsive to this  
8 request, what we could do is to ask the sort of the  
9 engineering experts in our company what is the smallest  
10 size injection station that we could put in and, you know,  
11 what might that cost, and then assume that the RNG producer  
12 is right there and, you know, we he have just the minimum  
13 amount of pipe and so on, and I think that could end up  
14 becoming sort of one end of the bookmark. But it would be  
15 very hard to do anything about beyond that.

16          MS. DeMARCO: I think that is very helpful and at  
17 least indicative directionally. So could we have an  
18 undertaking in relation to that?

19          MR. MURRAY: That would be undertaking JT1.12.

20          **UNDERTAKING NO. JT1.12: TO ASK ENGINEERING EXPERTS**  
21          **ABOUT THE SMALLEST SIZE INJECTION STATION THEY COULD**  
22          **PUT IN, AND ESTIMATE A COST, ASSUMING THE RNG PRODUCER**  
23          **IS RIGHT THERE AND ASSUMING A MINIMUM AMOUNT OF PIPE**

24          MS. DeMARCO: Those are my questions, with apologies  
25 for the overtime.

26          MR. BUONAGURO: Could I just ask a clarifying question  
27 on that last undertaking?

28          Would that include an analysis of what kind of flow

1 that allows? I'm assuming you may have already been  
2 thinking about doing that.

3 MS. GIRIDHAR: Yes, there would be an implicit  
4 assumption for the smallest station, in terms of what the  
5 flow of gas might be.

6 MR. QUINN: If I may just follow that up, though, one  
7 of the assumptions said the customer is right there. Is  
8 the cost of the pipeline, to the extent there is a  
9 pipeline, is that going to be recovered in the mandatory  
10 service, the injection service?

11 So again, the scope of what Lisa was talking about, if  
12 somebody is 20 kilometres away, obviously it's a lot bigger  
13 cost, and they have to do their own economics of whether  
14 that made business sense to them.

15 MS. GIRIDHAR: Correct. You know, there's another  
16 factor, which is are we able to accept RNG in at that  
17 location, because our ability to accept RNG at a location  
18 as a function of what the rest of the demand is on that  
19 location.

20 So that's why it becomes such a complicated thing to,  
21 to do any kind of high-level analysis on it.

22 MR. QUINN: Okay, thank you.

23 MS. GIRIDHAR: We would have to be very specific about  
24 what that bookend is.

25 MR. MURRAY: I think now is a good time for the  
26 morning break, and we'll come back for 11:45.

27 MS. DeMARCO: Just before we do that, I want to make  
28 sure that we got that undertaking marked and we're good.

1 MR. MURRAY: I believe it was JT1.12.

2 MS. DeMARCO: Okay, good, thanks.

3 --- Recess taken at 11:33 a.m.

4 --- On resuming at 11:57 a.m.

5 MR. MURRAY: Next on the list of questioners is Mr.  
6 Vellone for APPrO.

7 **EXAMINATION BY MR. VELLONE:**

8 MR. VELLONE: Thank you very much. Good morning,  
9 panel. I'd like to start with a follow-up on Staff's  
10 Technical Conference Question number 1. Maybe we could  
11 throw that up on the screen.

12 So you will remember from this morning OEB Staff asked  
13 why Enbridge is doing its upgrading service in the --  
14 proposing to do it in the regulated utility as opposed to  
15 an unregulated affiliate; do you recall that conversation?

16 MR. MCGILL: Yes, I do.

17 MR. VELLONE: And I just want to make sure I got your  
18 answer correct, make sure I understood it correct, so I'm  
19 going to repeat it back to you and see if I got it down.

20 My understanding is that an advantage of doing it in  
21 the regulated business is that it would benefit from a  
22 lower cost of capital than doing it in one of your  
23 unregulated affiliates. Is that a fair understanding of  
24 what you said?

25 MR. MCGILL: Yes, what I said was that in other parts  
26 of our business a project like these -- or projects like  
27 these would have to compete for capital against other  
28 projects or business opportunities, and that would be



1 likely to result in a higher cost of capital.

2 MR. VELLONE: Okay, and my understanding -- another  
3 reason why you're saying this should be done in the  
4 regulated business is because Enbridge can take -- is in a  
5 position where it can take advantage of certain tax  
6 benefits associated with these facilities, such as  
7 accelerated CCA and things like that; is that correct?

8 MR. MCGILL: Yes, that's correct.

9 MR. VELLONE: Did I miss anything else? Were those  
10 the primary reasons why you are suggesting to do it in the  
11 regulated utility?

12 MR. MCGILL: Well, I think some of the other reasons  
13 are articulated in our response to Energy Probe question  
14 number 2, and I think beyond that the upgrading service  
15 fits within the definition of a gas distribution service  
16 under the Ontario Energy Board Act.

17 MR. VELLONE: Why don't we pull Energy Probe number 2  
18 up just so I can see what you are referring to here.

19 Okay. And so this is referencing, effectively, the  
20 argument that it does fit in the scope of the Ontario  
21 Energy Board Act; is that my fair understanding?

22 MR. MCGILL: Yes.

23 MR. VELLONE: Okay. Are there any other reasons that  
24 you'd want to put on the record just while we are trying to  
25 create an exhaustive list here?

26 [Witness panel confers]

27 MR. MCGILL: No, I don't have anything to add at this  
28 point in time.

1 MR. VELLONE: Okay, let's park the legal argument for  
2 a minute, the stuff in Energy Probe number 2, and deal with  
3 the more business-oriented arguments, the lower cost of  
4 capital, the ability to take advantage of tax advantages.

5 MR. MCGILL: Yes.

6 MR. VELLONE: Is there anything unique to RNG  
7 upgrading that makes it compelling for the regulated  
8 business to do those activities with just those two  
9 reasons? Or would those same two reasons be a reason for  
10 you to get into other ventures, geothermal, natural gas  
11 generation for electricity, other competitive ventures? Is  
12 there anything unique to RNG?

13 MR. MCGILL: I think the aspect of RNG that is or was  
14 unique in that was that it would bring an overall benefit  
15 to our ratepayers through a reduction in our carbon  
16 allowance purchase requirements, so I think that would be  
17 different than some of those other examples that you've  
18 referenced.

19 MR. VELLONE: But would you get those benefits if you  
20 undertook the same activity in an unregulated affiliate, I  
21 guess is the question. I'm trying to contrast where it's  
22 done.

23 MS. GIRIDHAR: You know, I think with respect to your  
24 broader question -- that is, what is unique to RNG versus  
25 other activities -- I just do want to call out the market  
26 transformation capability that we have within regulation,  
27 so intrinsically what regulation allows us to do is to  
28 spread costs out over a longer duration of time. It allows

1 us to use the utility's ability to deploy solutions cost-  
2 effectively, build scale, and, you know, these reasons, I  
3 think, can be applied to a number of clean technology  
4 solutions, and just a reminder, you know, Ontario largely  
5 moved to high-efficiency furnaces from mid-efficiency  
6 furnaces because of the utilities' participation in that  
7 space through its DSM programming, and we've had other  
8 examples in the past, so I think the market transformation  
9 capability arises from utility regulation, and that's what  
10 we'd like to leverage in this case.

11 MR. VELLONE: Okay. I'm going to try to follow along  
12 with that. So when you are saying market transformation  
13 you're really talking about -- is it a chicken-and-egg  
14 problem here? RNG is not necessarily economic to upgrade  
15 on its own, but if the utility invests in these upgrade  
16 facilities you can help bring it along? Is that what you  
17 are saying market transformation is?

18 MS. GIRIDHAR: Yes, so there are several barriers that  
19 prevent solutions from becoming commonplace or, you know,  
20 deployed. Some of them are cost barriers. Some of them  
21 could just be barriers with respect to, you know, how it  
22 gets done. I mean, as an example, you know, the  
23 application of codes and standards and having the right  
24 framework within which to deploy solutions, I mean, I think  
25 we have an ability to do all of that within regulation.

26 MR. VELLONE: Would RNG upgrading services be economic  
27 in the absence of a regulated service offering at this  
28 time, if you were to do it in your competitive affiliate,

1 for example?

2 MS. GIRIDHAR: I think it depends. To the extent that  
3 we are able to offer a service, a levelized service, at a  
4 lower cost of capital, we are obviously reducing the cost  
5 of upgrading service relative to doing it in an affiliate.

6 Now, obviously if price was no barrier for the RNG  
7 producer they could pay higher rates and then be able to  
8 still produce RNG, but we know that that's not the case  
9 because there isn't any RNG produced in Ontario right now,  
10 so I think we would believe that it does lead to more  
11 participation in the space as a result of it being a  
12 regulated service, and that's why we call it an RNG  
13 enabling service.

14 MR. VELLONE: Just to clarify that point, my  
15 understanding -- and this is in reference to CBA  
16 Interrogatory No. 2 -- is that there is a facility in  
17 Ontario that is producing RNG that is of high enough  
18 quality that you could inject it into your system if you  
19 had the injection facilities available.

20 MR. MCGILL: There is one facility that is owned by  
21 the City of Hamilton that injects quantities of pipeline-  
22 quality RNG into the Union Gas gas distribution system.

23 MR. VELLONE: I see. So in the evidence where you're  
24 talking throughout that there is no ability to inject RNG  
25 into the natural gas system, you are really specific to  
26 your natural gas system, the Enbridge pipeline system?

27 MR. MCGILL: Well, I think as far as we are aware,  
28 that one site in Hamilton has the only operational facility

1 in Ontario at this point in time. It has a fairly limited  
2 capacity. So in terms of magnitude, there is effectively  
3 no real RNG production in Ontario at this time, so I think  
4 we kind of generalize on that point. There is some  
5 capability, but it is very, very limited.

6 MR. VELLONE: So there is RNG injection equipment in  
7 Hamilton, owned, I guess, by Union Gas, or is it owned by  
8 the city --

9 MR. MCGILL: No, the injection facility is -- part of  
10 the facility is owned by Union Gas, yes.

11 MR. VELLONE: Okay. Can we pull up APPrO  
12 Interrogatory No. 2, please? Maybe start with the question  
13 before you jump to the answer. It's a long question.  
14 Part B.

15 MR. MCGILL: Yes, I see the question.

16 MR. VELLONE: The part of the question that I want to  
17 ask a follow-up on is really the second part of that full  
18 paragraph.

19 It was -- it was asking Enbridge to help the Board  
20 understand what your best estimates were with regards to  
21 the development of a potentially competitive market in RNG  
22 upgrading -- let's limit it to that -- if they chose to  
23 allow the regulated service versus if they didn't.

24 Do you see that second part of the question there?

25 MR. MCGILL: Yes.

26 MR. VELLONE: Flip to part (b). I think you struggled  
27 with how to answer that, based on the way the first part of  
28 the question read.

1           Is that a fair understanding of your answer? You  
2 couldn't predict the future?

3           MR. MCGILL: Well, I think it's very difficult to  
4 predict the future. I think we believe that the proposal  
5 that we have in front of the Board right now will help the  
6 RNG market and production facilities -- the development of  
7 production facilities in Ontario move forward faster than  
8 they would otherwise.

9           But in terms of what offerings others might provide,  
10 we don't have any knowledge of that at this point in time.

11          MR. VELLONE: Sure. The way this question was framed  
12 was specific to the Ontario jurisdiction. I'm wondering if  
13 you can take a crack, perhaps by way of undertaking, of  
14 answering a similar question, but specific to B.C. and  
15 Quebec with regards to how the RNG market evolved in those  
16 two different jurisdictions.

17          And the intent really here is to get on to the record  
18 some competing models, some competing regulatory models for  
19 the Board to consider.

20          MR. MCGILL: Okay. I think we have an undertaking  
21 that we took earlier this morning, or earlier today, that  
22 basically would fulfill that request. So I'm not sure we  
23 need to take another one.

24          MR. VELLONE: I am happy if you are intending to  
25 answer roughly the gist of APPrO 2B in answering that other  
26 undertaking. I'm happy to have that added to that  
27 undertaking.

28          MR. MCGILL: Okay.

1 MR. MONDROW: Just to be clear, the undertaking, as I  
2 recall it, Mr. McGill, was to provide the regulatory  
3 precedents from the other jurisdictions.

4 MR. MCGILL: That's right.

5 MR. MONDROW: And like Mr. Vellone, if what you are  
6 saying is you will he expand that response to provide an  
7 analysis of the two markets and you want to do it under  
8 that number, that's fine. But it's a different question.

9 MR. MCGILL: Yes, we can do that.

10 MR. VELLONE: Thank you.

11 MR. MURRAY: I think we'll just -- maybe actually for  
12 simplicity, it might be easier just to give it a new  
13 number, and we'll do JT1.13.

14 **UNDERTAKING NO. JT1.13: TO PROVIDE THE REGULATORY**  
15 **PRECEDENTS FROM THE OTHER JURISDICTIONS; TO PROVIDE AN**  
16 **ANALYSIS OF THE TWO MARKETS**

17 MR. VELLONE: Thank you. While we're on APPrO number  
18 2, your answer to part A is pretty clear in regards to what  
19 you've been calling your optional service. Is that what  
20 you've been referring to the RNG upgrading facilities as,  
21 an optional service?

22 MR. MCGILL: Yes.

23 MR. VEGH: Versus RNG injection, which you're calling  
24 -- is it a mandatory service, a must have, a must do?

25 MR. MCGILL: Yes.

26 MR. VELLONE: Can we talk a little bit about the must-  
27 do portion, the injection facility? And this is really a  
28 follow-up to Ms. DeMarco's question. I'm trying to

1 understand the scope of what the must do facilities will be  
2 and perhaps -- I'm an engineer by training, I'm going to go  
3 to the equipment.

4 Can you pull up figure number 1 in your application  
5 which shows, I think, a process diagram of what an  
6 injection facility might look like?

7 MR. MCGILL: Yes, we have that.

8 MR. VELLONE: Okay. So my understanding is that an  
9 injection facility would include things --

10 MR. MONDROW: Just to put it on the screen -- sorry to  
11 interrupt. It's Exhibit B, tab 1, schedule 1, page 15.

12 MR. VELLONE: Referring to this diagram, figure 1  
13 entitled "RNG production process and Enbridge service  
14 offerings", everything inside of the orange box entitled  
15 "injection systems", is that what you mean by the RNG  
16 facilities that must be part of the regulated utility?

17 MR. CHAGANI: It is everything inside the injection  
18 system box, and the pipeline.

19 MR. VELLONE: And when you say the pipeline, you are  
20 referring to the pipeline that I see that's connecting the  
21 injection system directly to the existing Enbridge natural  
22 gas distribution system?

23 MR. CHAGANI: Yes.

24 MR. VELLONE: You're not referring to a downstream  
25 pipeline that might connect an upgrade facility to your  
26 injection system?

27 MR. CHAGANI: I'm not sure I fully understand the  
28 question. So I -- there is going to be a pipeline that



1 will go from the -- like the outlet of, let's say, the  
2 odourization tank in this example that would then go to our  
3 existing main, okay?

4       Within the injection station, there will be also  
5 pipelines that go from the metering to the odouring tank to  
6 the compressor, to the regulators and so on and so forth.  
7 All of those would be contained within our injection  
8 system.

9       MR. VELLONE: Understood.

10       MR. CHAGANI: So it would be any -- so there would be  
11 a custody transfer point. Anything downstream of the  
12 custody transfer point would be within the injection  
13 system.

14       MR. VELLONE: Would you be able to show me on figure 1  
15 where the custody transfer would occur?

16       MR. CHAGANI: The arrow from the upgrade to bio-  
17 methane to the injection station would have a valve, or a  
18 custody transfer point in that...

19       MR. MCGILL: Pathway.

20       MR. CHAGANI: In that pathway. So if there was a  
21 physical fence line, it would be on that fence line.

22       MR. VELLONE: And so the question I was asking is: If  
23 you go outside the fence line of the injection station,  
24 let's say that, and there needed to be a pipeline that  
25 connected to the upgrade facility, you would not propose  
26 that that downstream pipeline be part of your regulated  
27 utility. Is that correct?

28       MR. MCGILL: I would refer to that as an upstream

1 pipeline, so the pipeline connection between the upgrade to  
2 the bio-methane box in this figure. So there'd be a  
3 pipeline from that facility into the injection facility and  
4 at some point on that pipeline, presumably there would be a  
5 valve and that would be what I would suggest is the custody  
6 transfer point where we would take custody of the upgraded  
7 RNG and move it through the injection process.

8 And from the injection facility, then the gas would  
9 move into the gas distribution system through another  
10 pipeline connection, which would be downstream of the  
11 injection facility.

12 MR. QUINN: This may be helpful, Mr. McGill, You've  
13 said valve for a second time, and the panel has said valve.

14 Would it not be a meter? If you are doing custody  
15 transfer, would you not have a meter that is quantifying  
16 the stream of natural gas that went from party A, who is  
17 selling to Enbridge?

18 MR. MCGILL: Well, okay, just to be clear, there's no  
19 transfer of ownership of the gas throughout this process.

20 So in our proposal, the untreated raw biogas and the  
21 final product upgraded to RNG, the title to that gas always  
22 stays with the biogas producer. But the...

23 MR. QUINN: So there is no custody transfer per se, in  
24 terms of title?

25 MR. MCGILL: When I am talking about custody, I mean  
26 physical custody of the gas, not ownership of the gas.

27 MR. QUINN: So it's more like a common carrier type  
28 model, where you are metering for the purposes of

1 understanding what goes in and going to be able to  
2 understanding what goes in, and are going to be able to  
3 redeliver that to what goes out somewhere else?

4 MR. MCGILL: Well, yes. I'm not a hundred percent  
5 certain if there would be metering between the bio-methane  
6 facility and the injection facility. I don't know that  
7 that's always required.

8 It may be required in some instances, but we  
9 definitely need to be able to control what comes into the  
10 injection facility in the event that the gas coming into it  
11 does not meet the pipeline specification.

12 MR. QUINN: Okay.

13 MS. GRICE: So there has to be a way to physically  
14 prevent that from happening.

15 MR. QUINN: Or lock it in off, in a worst case  
16 scenario, yes, okay. That's a good clarification, because  
17 I was presuming a meter, and it doesn't have to be a meter  
18 in this case.

19 MR. MCGILL: It may or not be a meter, but it would  
20 depend from one installation to the next.

21 MR. QUINN: Thank you very much. Sorry, John.

22 MR. VELLONE: That's okay.

23 MR. MCGILL: Just another thing we'd like to point out  
24 is that all of these facilities would be located in  
25 typically one place on the customer's premises.

26 So it's not like there would be any significant  
27 physical difference or distance between the bio-methane  
28 upgrading facility and the injection facility. They would

1 all be on the same site.

2 MR. VELLONE: Why is that the case?

3 MR. MCGILL: I think it's, one, it is less costly;  
4 two, there is less concern with respect to moving upgraded  
5 RNG in a pipeline facility versus untreated bio-methane  
6 that could have high hydrogen sulfide content and other  
7 impurities in it.

8 So for a lot of different reasons, the most practical  
9 solution is to have all of these facilities contained in a  
10 small physical area.

11 MR. VELLONE: So I understand that answer would  
12 explain why you co-locate the upgrading facility with the  
13 production facility. I guess I don't understand why you  
14 have to co-locate the injection system.

15 MR. MCGILL: I think from a physical standpoint it's  
16 not required, but I would refer to it as a standard  
17 practice. Everything we have seen in terms of the way  
18 these facilities are constructed, all of these aspects of  
19 the facilities are located in close proximity to each  
20 other. Yeah, and...

21 [Witness panel confers]

22 MR. CHAGANI: So if you -- just bringing your  
23 attention to the diagram, the first step in actually -- in  
24 our injection system is that first we monitor the quality  
25 of the gas, and that's why we actually use the word  
26 "valve", is because if the quality of the gas doesn't meet,  
27 we would shut the valve immediately. So that's the first  
28 step.

1           The second step would be metering and regulation to  
2     make sure that the pipeline -- the pressures meet the  
3     downstream pipeline pressures, and then there is  
4     odourization. In order for us to move gas on a public road  
5     allowance it would have to be odourized, it would have to  
6     be meeting the quality of CSAZ662, which is the pipeline  
7     distribution code. That's why we would co-locate the  
8     upgrading site, and that would not -- whether or not we own  
9     the upgrading site would not be in question, but we could  
10    co-locate the injection site right next to the upgrading so  
11    that all of these things can happen.

12           In addition to that, if you have a valve where you  
13    have to shut in the production of -- sorry, a valve where  
14    you have to turn away the bio-methane, you would have to  
15    have another pipeline that they would be able to take away  
16    that uncleaned gas, so again, there would be synergies to  
17    have all of that on to one site.

18           MR. VELLONE: That helps.

19           Going back to the previous answer, my understanding is  
20    that your answer was pretty honest. It said, This is how  
21    we've seen others do it, and that's why we're proposing to  
22    do it this way. Is that right?

23           MR. MCGILL: Yes, that's correct.

24           MR. VELLONE: Which others are you referring to?

25           MR. CHAGANI: So the example with Hamilton is done in  
26    that fashion. The examples in B.C. that we've investigated  
27    are done in the same fashion.

28           MR. VELLONE: Quebec?

1 MR. CHAGANI: So Quebec is a little bit different,  
2 because one of the sites actually injects into TransCanada,  
3 so that -- it is not necessarily odourized gas that is  
4 going into TransCanada, it can't be odourized, but our  
5 understanding is that -- I think it is within a very short  
6 distance. I'd have to look up the exact distance -- but  
7 the sites are quite close.

8 MR. MONDROW: How many facilities are there in Quebec  
9 for upgrading of RNG?

10 MR. MCGILL: As far as we know there's two operating  
11 today.

12 MR. MONDROW: Okay, one is near TransCanada, and the  
13 other one, does it co-locate the injection -- sorry, does  
14 it co-locate the injection system with the upgrade  
15 facility?

16 MR. MCGILL: We don't know.

17 MR. MONDROW: Do you deal with any other jurisdictions  
18 other than B.C. and Quebec?

19 MR. MCGILL: Not that we would have direct knowledge  
20 of.

21 MR. MONDROW: Okay. Thanks.

22 MR. VELLONE: So if you are co-locating the upgraded  
23 injection equipment near the same site, does that mean your  
24 injection equipment is facility-specific, it means it only  
25 works for that one RNG supplier?

26 MR. CHAGANI: It would be dedicated to that one RNG  
27 supplier. Typical -- like, it would have a meter set.  
28 Meter sets are fairly standard for the volume and the

1 pressure of gas going through, so a lot of the equipment  
2 would be standardized, the odour tank would be  
3 standardized, but specifically it would be dedicated to  
4 that one customer.

5 MR. VELLONE: And if that customer went out of  
6 business for whatever reason, who would carry the cost for  
7 the injection equipment?

8 MR. CHAGANI: Within our -- one of our interrogatory  
9 responses we said that for -- we would follow a typical  
10 process for acquiring security from our customers, so in  
11 this case we would have some type of security with the  
12 injection customer.

13 MR. VELLONE: So that in the event they do go out of  
14 business, you are not going to recover in rates the costs  
15 that you incurred to build this equipment.

16 MR. CHAGANI: That's correct.

17 MR. VELLONE: Other ratepayers would be held harmless?  
18 Is that the intent?

19 MR. MCGILL: Yes, we would exercise whatever security  
20 instrument we had to recover the unrecovered costs of the  
21 facility.

22 MR. RUBENSTEIN: But you are not guaranteeing that if  
23 a customer goes out of -- if a customer goes out of  
24 business, ratepayers would be held harmless?

25 MR. MCGILL: I don't know that we can guarantee that  
26 on a one-for-one dollar basis, but what I can tell you is  
27 this is a typical practice where we are extending dedicated  
28 facilities for a single customer. We typically enter into

1 a financial security agreement with them. That can entail  
2 irrevocable letters of credit and things of that nature to  
3 give us the protection we need to mitigate that risk of the  
4 unrecovered cost of those facilities.

5 MR. RUBENSTEIN: And have you ever entered into -- or  
6 have you ever constructed dedicated facilities for a single  
7 customer of this financial magnitude without aid in  
8 construction and so on?

9 MR. MCGILL: Off the top of my head I couldn't say. I  
10 think -- I would expect that probably in the past -- like,  
11 you are talking about a contribution in aid of  
12 construction, which is different from acquiring security  
13 from that customer, so in either case, whether there was a  
14 contribution in aid of construction or not, if it was a  
15 dedicated facility we would still be seeking the same kind  
16 of financial assurances, it is just that if there was a  
17 contribution in aid of construction, the capital costs that  
18 we were trying to secure would be less.

19 MR. RUBENSTEIN: So let me break it down: Have you  
20 ever constructed dedicated facilities for a single customer  
21 of the magnitude that you expect for either the injection  
22 or the upgrading system where you have not required the aid  
23 in construction, but required letter of creditors, or maybe  
24 not?

25 [Witness panel confers]

26 MR. RUBENSTEIN: Feel free to answer this by way of  
27 undertaking.

28 MR. MCGILL: So the way I understand your question is



1 you are asking if we have ever installed dedicated  
2 facilities that were subject to a capital contribution  
3 where we didn't seek financial assurances?

4 MR. RUBENSTEIN: Have you ever constructed dedicated  
5 facilities thereafter -- if there was or was not aid to  
6 construction that you asked for, so the remaining amount  
7 that essentially you were charging the customer for, of the  
8 size that you are expecting for the injection or the  
9 upgrading system?

10 MR. MCGILL: Well, what I can say is that we have  
11 installed dedicated facilities to large customers that are  
12 on -- in terms of dollar value, the same order of magnitude  
13 where we did obtain letters of credit in order to secure  
14 those investments.

15 We can recall at least two specific examples in the  
16 more recent past, within the last five to ten years.

17 MR. RUBENSTEIN: And does the financial assurances  
18 that you will require for from them, letter of credit or  
19 something else, does that assure that the remaining value  
20 that essentially you will be -- that if the company goes  
21 out of business, that you will recover the full value of  
22 the remaining life of those assets?

23 MR. MCGILL: Yes, the financial assurances are valued  
24 such that we would recover the undepreciated capital cost  
25 of those facilities.

26 MR. RUBENSTEIN: As well as removal, or any other...

27 MR. MCGILL: Decommissioning costs, yes.

28 MR. VELLONE: Okay. So going back to the diagram in

1 figure 1, and just to make sure I've got it all in my head,  
2 your injection system would include gas analyzer testing  
3 the RNG when it comes in, metering, compression, telemetry,  
4 regulation and odourization equipment, as well as that  
5 other list -- associated valves, pipelines, and things like  
6 that.

7 MR. MCGILL: Yes.

8 MR. VELLONE: A pipeline to get you back to the  
9 Enbridge distribution system?

10 MR. MCGILL: Yes.

11 MR. VELLONE: Anything I'm missing?

12 MR. MCGILL: At a high level, I don't think so, no.

13 MR. VELLONE: No storage tanks or anything like that  
14 you're thinking about here?

15 MR. MCGILL: Storage tanks for the odourant. I don't  
16 think we would have any storage tanks associated with the  
17 compression equipment, if compression is required at a  
18 site. There is some filtering equipment that would be sort  
19 of in that other category of smaller components of the  
20 system.

21 MR. VELLONE: That helps, thank you. You've spoken a  
22 bit this morning about utilizing the EBO 188 feasibility  
23 guideline as a process that you are using to determine the  
24 rate for this new service offering. Is that -- is my  
25 understanding of that correct?

26 MR. MCGILL: That's correct.

27 MR. VELLONE: So my read of EBO 188 is that it applies  
28 to natural gas expansions, and doesn't necessarily apply to

1 RNG upgrading or RNG injections. Is that -- I mean, am I  
2 missing something?

3 MR. MCGILL: Well, I think at the time that EBO 188  
4 was drafted, RNG upgrading and injection facilities were  
5 probably not contemplated at the time.

6 But what EBO 188 does give us is it gives us a  
7 construct or a framework as to how we determine the  
8 economic feasibility of gas distribution expansion  
9 projects. And what we're doing is we're using that  
10 methodology to determine the rate that's required to  
11 recover the cost of these facilities and operating these  
12 facilities over their contract life on a net present value  
13 basis, which is consistent with the EBO 188 rationale and  
14 concept.

15 MR. VELLONE: So it's a novel application of the  
16 principles in EBO 188, to these new...

17 MR. MCGILL: Well, I -- not necessarily. I think we  
18 spoke earlier with respect to one of the Board Staff  
19 questions.

20 We apply the EBO 188 framework in pretty much exactly  
21 the same way in order to determine demand charges under  
22 rate 125. We use that framework to determine the  
23 requirements for capital contributions in aid of  
24 construction, which the Board has previously ruled are our  
25 rate.

26 So I think we are on firm ground with respect to  
27 applying the EBO 188 rationale in the way we have to  
28 determine the rates for these services.

1 MR. VELLONE: But there's nothing in EBO 188 that says  
2 it must apply in these circumstances?

3 MR. MCGILL: No.

4 MR. VELLONE: Can you pull up your response to CBA  
5 Interrogatory No. 2, part 3?

6 MR. MCGILL: Yes, we have that.

7 MR. VELLONE: So your previous discussion where we  
8 pinned down by what you meant by injection facilities may  
9 answer this, but I'm just trying to understand.

10 When you say there is no ability to inject into  
11 Enbridge's system, what did you mean by that?

12 MR. MCGILL: So at the moment, there are no RNG  
13 injection facilities that are attached to our gas  
14 distribution system.

15 MR. VELLONE: And when you say RNG injection  
16 facilities, that's the equipment that we just talked about  
17 a minute ago?

18 MR. MCGILL: Yes.

19 MR. VELLONE: Are there other ways that RNG could be  
20 injected into the Enbridge system, other than use of one of  
21 these types of injection facilities?

22 MR. MCGILL: I don't believe so, not without being in  
23 violation of the codes and standards we operate under.

24 MR. VELLONE: So, for example, if RNG was injected  
25 into the Union Gas pipeline system and then made it  
26 downstream into yours?

27 MR. MCGILL: Yes.

28 MR. VELLONE: So Hamilton would be a pretty good

1 example of where that would be happening?

2 MR. MCGILL: But that's not directly injected into our  
3 gas distribution system.

4 MR. VELLONE: Okay, fair enough. I guess -- in your  
5 market research that you've done, have you come across any  
6 examples of where an RNG injection station was not specific  
7 to an RNG production and upgrading facility? You build it  
8 and they come to you, as opposed to the other by a around?

9 MR. MCGILL: I'm not aware of any, no. I think -- I  
10 think, based on the physical practicalities of trying to do  
11 that, I just can't see how it would work in any kind of  
12 cost-effective way.

13 There are different models where you could have, in  
14 say an agricultural scenario, where you have a number of  
15 farms that transport their waste to a central digester  
16 facility, and it would be at that location that you would  
17 include -- or build your upgrading facility and your  
18 injection facility and attach it to an existing pipeline  
19 system.

20 So you would have some kind of transportation network  
21 of probably trucks that would pick up the waste and bring  
22 it to a central location. Otherwise, I don't think it  
23 would be economic to have 30 or 40 very small digesters and  
24 upgrading facilities and injection facilities scattered  
25 across a large geographic area,

26 So I think there are different models of how to  
27 consolidate the feedstock in such a way that it becomes  
28 economic. But to have a central injection facility with a

1 number of pipelines running from upgrading facilities to  
2 it, I just don't believe that you could do that in a cost-  
3 effective way.

4 MR. VELLONE: Fair enough. Can we pull up the  
5 response to Energy Probe interrogatory number 3, please,  
6 and specifically part C of that question.

7 MR. MCGILL: Yes, we have that.

8 MR. VELLONE: So in this question Energy Probe was  
9 asking whether, setting aside RNG for a minute, whether  
10 Ontario gas producers are required to use Enbridge assets  
11 for injection services, and my understanding of the answer  
12 is that, yes, they are. You would require them to use  
13 Enbridge assets for injection services?

14 MR. MCGILL: Yes.

15 MR. VELLONE: How would those assets differ from what  
16 you just walked me through for RNG injection services, for  
17 a standard natural-gas injection?

18 MR. MCGILL: Well, they would be less complicated in  
19 that we wouldn't be concerned about -- yeah, so I think if  
20 you go to part F of the response to that question, I think  
21 we've set out some of the differences between RNG and sort  
22 of fossil-based natural gas and what the different  
23 requirements are with respect to getting biogas up to  
24 pipeline-quality RNG.

25 MR. VELLONE: So just going back to figure 1 in the  
26 evidence again. I'd like you to help me translate these  
27 different properties of standard natural gas and RNG into  
28 the facilities that would be utilized to inject standard

1 natural gas as opposed to RNG.

2 So looking at figure 1, what wouldn't you need?

3 [Witness panel confers]

4 MR. MCGILL: So if we just look at the injection  
5 system portion of the overall system, we would have  
6 different testing requirements for traditional natural gas  
7 versus upgraded RNG. We would have metering, probably  
8 telemetry systems. As far as I know we don't have any  
9 compression on our system today, but there would be a  
10 requirement to regulate the flow of gas coming from that  
11 local source into our system, and we would have to odourize  
12 the gas where it's introduced into our system.

13 MR. VELLONE: And with a standard natural-gas  
14 injection system, would you also propose to co-locate that  
15 at the gas producer's site?

16 MR. MCGILL: Yes, typically that's the case, so in the  
17 case of our major gate stations that take gas off the  
18 TransCanada system, those facilities are all located on the  
19 same site, and they include, because you have the drastic  
20 pressure differentials, there is also equipment required  
21 for heating and whatnot to make sure the facility doesn't  
22 freeze up.

23 And in the case of the one local producer that we  
24 transport gas for today, that injection facility is  
25 located -- I can't say for certain whether it's on their  
26 property, but it is either on their property or adjacent to  
27 it.

28 MR. VELLONE: Okay, that's helpful.

1 Can you pull up the response to APPrO interrogatory  
2 number 5?

3 MR. MURRAY: Mr. Vellone, I just wanted to do a time  
4 check to see kind of where we are with things.

5 MR. VELLONE: I'm on my last set of questions.

6 MR. MURRAY: Thank you.

7 MR. VELLONE: Part F, the answer to part F. It's  
8 showing on the screen.

9 MR. CHAGANI: Yeah, we have that now, sorry.

10 MR. VELLONE: So you have one contract in place, and  
11 my understanding that's with the City of Toronto; is  
12 that --

13 MR. MCGILL: That's correct.

14 MR. VELLONE: Is that contract dependent upon the  
15 Board granting the relief requested in this application?

16 MR. MCGILL: Well, the contract has been drafted in  
17 such a way that we would be able to go ahead and provide  
18 the services, whether or not we get the relief we're  
19 requesting in this application.

20 MR. VELLONE: Okay, and I -- with regards to the  
21 business model that's proposed for this application, I  
22 guess my question goes back to Mr. Rubenstein's question,  
23 which is why couldn't you just lower the upgrading fees or  
24 injection fees that you are charging these customers and  
25 charge them a capital contribution like you do -- or  
26 contribution in aid of construction like you do with your  
27 other customers? I guess, why the special model?

28 [Witness panel confers]



1 MR. MCGILL: Typically we don't charge customers  
2 joining the system capital contributions or charge them for  
3 contributions in aid of construction. Contributions in aid  
4 of construction are only required when the base rate  
5 applied to the estimated volume that that customer is going  
6 to take don't generate enough revenue to cover the cost of  
7 those facilities over their accounting life on a net  
8 present value basis, so that's typically not what we do.

9 MR. VELLONE: So I'm just trying to unpack that  
10 answer. So we were looking earlier at Appendix number 5, I  
11 believe it was, to your original evidence.

12 MR. MCGILL: Yes.

13 MR. VELLONE: And I thought that showed that you did  
14 require a kind of subsidy from ratepayers over a certain  
15 period of time and then that subsidy was paid back over the  
16 life of the asset; is that not...

17 MR. MCGILL: Well, I think -- I don't know that  
18 "subsidy" is quite the right way to put it. I think in our  
19 business today, you know, for example, if we are following  
20 the EBO 188 guideline with our -- in our standard day-to-  
21 day business, the average cost to add a residential  
22 customer right now is about \$3,800. The average gas bill  
23 for that customer is about \$900 a year, so it is obvious  
24 that that customer, on average, is not returning the full  
25 cost of providing service to them from day one.

26 So in order to provide them with that, in essence,  
27 levelled rate of \$900 per year, they operate in a  
28 deficient -- or revenue deficiency situation for some

1 number of years until depreciation takes the cost of the  
2 asset down to the point where that \$900 a year or the  
3 distribution margin that's included in that exceeds the  
4 cost of providing them service in any given year.

5       So what you have happening is you have deficiencies  
6 typically in the early years that are returned in the later  
7 years, and the feasibility test we operate under requires  
8 us to have a investment portfolio PI of 1.0 or greater, so  
9 what that does is it means that those new customers,  
10 although they are under-contributing in the early years,  
11 over the asset life they are not, so that there is no  
12 cross-subsidy coming from existing customers to bring them  
13 on to the system if we're following that feasibility  
14 guideline.

15       So the same thing holds true in what we're proposing  
16 here. So it's that temporal difference between revenue  
17 requirement and revenues that's being tracked, and in most  
18 cases you're deficient in the early years and you have  
19 sufficiencies in the later years, and over the life of the  
20 asset they balance each other off to give you a PI of 1.0,  
21 which is indicative of net present value of zero, which is,  
22 nobody won, nobody gained, so we are applying that same  
23 rationale here, so this is no different than any other  
24 customer we would add.

25       MR. VELLONE: So if the temporal difference is a  
26 concern for ratepayers, is one way to solve that by  
27 charging an upfront capital contribution? Let's not call  
28 it a contribution in aid of construction, because you are

1 disagreeing with that. But if you just charge them a  
2 capital contribution, can you get rid of that temporal  
3 difference?

4 MR. MCGILL: It may. It would reduce the capital cost  
5 that -- actually, I don't think it would the way we're  
6 doing this, because you would reduce the capital cost of  
7 that project, which would reduce that project's revenue  
8 requirement, which would reduce that project's rate.

9 So you would still have the same profile of  
10 deficiencies and sufficiencies over the same period of time  
11 with a capital contribution. It's just that the sizes of  
12 the whole thing becomes less.

13 So I don't think the answer to your question is yes.  
14 It would be the same, but smaller.

15 Now, what did we did do and we did test in one of the  
16 interrogatory responses is if you move off of a levelized  
17 rate so that you charge more in the early years and less in  
18 the latter years, then you wouldn't have those revenue  
19 deficiencies and sufficiencies.

20 But that would undermine the entire service by not  
21 being able to offer it at a levelized cost or rate to  
22 those customers.

23 MR. VELLONE: Recognizing that I've gone over time,  
24 we're going to park it there, I think.

25 MR. MURRAY: Mr. Buonaguro?

26 MR. BUONAGURO: Thank you. Are we going to have  
27 lunch?

28 MR. MURRAY: Well, I actually think we've only be

1 going for less than a hour since we came back from the  
2 break. We actually only started back about 11:55. So I'd  
3 like to try to get through one more before lunch, if we  
4 can.

5 MR. BUONAGURO: Sure. I put in for 30 minutes, but  
6 I'm going to try to come in well under that. If I am, I'll  
7 be the first person today, so...

8 **EXAMINATION BY MR. BUONAGURO:**

9 Good afternoon, panel. Michael Buonaguro, I'm counsel  
10 in this instance for the Canadian Biogas Association.

11 A lot of the topic areas I was going to cover have at  
12 least been touched on, if not discussed in detail. So I'm  
13 going to flit around a little bit just to clean up some  
14 points that I wanted to follow-up on.

15 If you could pull up the diagram that you were  
16 speaking to Mr. Vellone about, in terms of -- I have the  
17 reference here. It's B1.1, page 15 -- that's it -- from  
18 the evidence.

19 And I noticed on this diagram -- and this relates to a  
20 series of questions I was going to ask, but this is a  
21 simpler way of doing it -- under injection system, it says  
22 "compression or regulation".

23 Can you explain why on the injection side there seems  
24 to be a disjunctive option; there could be compression or  
25 there could be regulation?

26 MR. CHAGANI: So the biogas producer, if they're  
27 managing the clean-up, the output of the clean-up facility  
28 could give us gas at a higher pressure than our system, or

1 a lower pressure than our system. And so in that case, if  
2 we get it at a lower pressure, we would increase the  
3 pressure to match the pressure of the system. And if it's  
4 a higher pressure, we would decrease it with regulation to  
5 get it down to meet.

6 MR. BUONAGURO: I see. So from a compression point of  
7 view -- and I noted in the main evidence and interrogatory  
8 responses, you talk about compression in the injection side  
9 -- the needs for any particular customer will depend on how  
10 they're delivering the gas from a compression point of  
11 view?

12 MR. MCGILL: It will depend on where the facility is  
13 located in relation to our system, and what the operating  
14 pressures in our system are at that location.

15 So let's say if I've got an existing part of the gas  
16 distribution system that has a maximum operating pressure  
17 of 300 psi, and the RNG coming out of the -- coming into  
18 the injection system is at 200 psi, I've got to use  
19 compression to increase that pressure above the 300 psi in  
20 order to get the gas to flow into the pipe.

21 So conversely, if you have the opposite situation  
22 where the gas coming out of the injection facility is at a  
23 higher pressure than what we can allow in the adjacent  
24 pipeline, you have to use regulation to cut the pressure of  
25 that gas coming into the system so that will be at a  
26 pressure that's acceptable to our system, so we don't over-  
27 pressurize that part of the system.

28 So it could be either or, depending on the location

1 and the characteristics of our gas distribution system in  
2 that area.

3 MR. BUONAGURO: Thank you. In this example, I guess,  
4 this sort of assumes that if -- I think it assumes that if  
5 Enbridge is doing the upgrading on the same site as they're  
6 also doing injection services, then you would include full  
7 compression as part of the injection system?

8 MR. MCGILL: Yes, if compression was required, it  
9 would be part of the injection facility.

10 MR. BUONAGURO: But in another scenario where a  
11 company has decided to do the upgrading itself, it may be  
12 the case that they're able to deliver it -- the upgraded  
13 renewable natural gas at a compression or pressure that all  
14 you have to do is regulate it?

15 MR. MCGILL: Yes, that could be the case.

16 MR. BUONAGURO: But it's basically RNG producer  
17 specific; it depends on the situation?

18 MR. MCGILL: Yes.

19 MR. BUONAGURO: Fair enough. I just wanted to confirm  
20 that. You were -- and again you were speaking to Mr.  
21 Vellone about injection systems, and you mentioned specific  
22 example of an injection site for traditional, I'll call it,  
23 natural gas where Enbridge is injecting gas into its own  
24 system.

25 MR. MCGILL: Yes.

26 MR. BUONAGURO: There was an interrogatory response,  
27 Exhibit I, tab 1, EGD.I.EP3, so I guess the first set of  
28 interrogatory response is EP3 and it refer to, I think,

1 that same system. It says in response A:

2 "Enbridge does not currently purchase any Ontario  
3 natural gas production. Enbridge currently owns  
4 and operates one gas custody transfer station  
5 where natural gas produced in Ontario is injected  
6 into the company's gas distribution system for  
7 transportation to Dawn."

8 Is that the same facility?

9 MR. MCGILL: That's the same facility that I was  
10 referring to earlier, yes.

11 MR. BUONAGURO: So that's the one example of Enbridge  
12 running an injection site for something other than RNG; is  
13 that fair?

14 MR. MCGILL: Yes.

15 MR. BUONAGURO: Okay. And my understanding from this  
16 morning, if I got it correctly -- and throughout the  
17 interrogatory responses, I think this is true -- Enbridge  
18 owns and operates that facility?

19 MR. MCGILL: The injection parts of that facility,  
20 yes.

21 MR. BUONAGURO: Okay. And would Enbridge have had to  
22 seek special permission from the Board to purchase and own  
23 and run and include in rates that injection facility?

24 MR. MCGILL: I don't know. I think that facility is a  
25 very old facility, and I'm just not sure whether there was  
26 special dispensation required from the Board with respect  
27 to that or not.

28 [Witness panel confers]

1 MR. MCGILL: We were just saying that in terms of that  
2 physical facility, it's probably been there since the  
3 1960s. So whether or not the Board considered it on a  
4 stand-alone basis or not, I don't know. I would be  
5 surprised if they did. I think it just would have been  
6 treated as part of our general gas distribution system.

7 MR. BUONAGURO: But presumably, it's been part of rate  
8 base ever since it was installed?

9 MR. MCGILL: I would expect so, yes.

10 MR. BUONAGURO: Thank you. Somebody's pointed out it  
11 is probably fully depreciated by now, unless there has been  
12 upgrades?

13 MR. MCGILL: That would be my guess, yes.

14 MR. MONDROW: Unless the producer paid for it.

15 MR. MCGILL: Pardon me?

16 MR. MONDROW: Unless the producer paid for it, which  
17 is another possibility.

18 MR. MCGILL: That's a possibility. Like I said, it  
19 goes back quite a ways.

20 MR. MONDROW: Understood.

21 MR. BUONAGURO: I think you just said it was included  
22 in rate base, though.

23 MR. MONDROW: That's why I'm asking. We don't know  
24 that. You're assuming...

25 MR. MCGILL: Presumably, it would have been.

26 MR. BUONAGURO: Presumably, the producer paid  
27 something for the service, and continues to pay for the  
28 service?



1 MR. MCGILL: Yes, we have an agreement in place to  
2 transport the gas for them from their site to Dawn. And I  
3 think we explained that elsewhere in the interrogatory  
4 responses; that's done on the basis of an exchange  
5 agreement and we either pay or receive the differential in  
6 the transportation cost to the CDA.

7 MR. BUONAGURO: Right. So it sounds to me like what  
8 you're saying is that the injection component of whatever  
9 they're paying for is a sub-component of an overall  
10 contract to move the gas?

11 MR. MCGILL: Yes.

12 MR. MONDROW: Sorry, Michael, could I just ask a  
13 question?

14 MR. BUONAGURO: Yes.

15 MR. MONDROW: Does that producer pay for an injection  
16 service?

17 MR. MCGILL: No, they don't.

18 MR. MONDROW: Okay. What they pay you is for a  
19 transportation service?

20 MR. MCGILL: Yes, effectively a transportation  
21 service. It's a gas exchange agreement that that operates  
22 under and as far as I know, there is a monthly  
23 administration fee and it's just basically either charging  
24 them or paying the toll differential to the CDA with  
25 respect to that gas.

26 MR. MONDROW: But you do understand, if I understand  
27 your statements a few minutes ago, that the injection  
28 facility cost was at least at one-time included in rate

1 base.

2 MR. MCGILL: I believe it was, because that entire  
3 facility originally was part of the old Consumers Gas  
4 system.

5 MR. MONDROW: And so it just would have been included  
6 as kind of a distribution facility?

7 MR. MCGILL: Yes.

8 MR. MONDROW: Thanks. Thanks, Michael.

9 MR. BUONAGURO: Thank you.

10 Now, I think you spoke with Mr. Rubenstein at some  
11 point about this, but I'm just going to follow up. Exhibit  
12 I.2.EGDI.SEC.16. And this talks about financial assurances  
13 that are to be provided by RNG producers that take  
14 either/or of the services, and this talks about article 13,  
15 response B. It says:

16 "Article 13 of the biogas service agreement  
17 addresses financial assurances. The treatment of  
18 financial assurances will be consistent with  
19 Enbridge's existing practices."

20 And I took it from your early conversation with Mr.  
21 Rubenstein, is that the intent of the proposal in this case  
22 is to extract from RNG producers, if I can use that word,  
23 the same financial assurances that you would extract from  
24 customers in similar situations in terms of securing the  
25 revenue stream from those customers over the necessary  
26 lifetime of whatever the undertaking is, in this case an  
27 undertaking to provide either upgrading and/or injection  
28 services?

1 MR. MCGILL: Yes, that's correct.

2 MR. BUONAGURO: All right, thank you.

3 Now, just flipping to -- this is Exhibit  
4 I.2.EGDI.APPrO.7. And at part B the answer was -- and this  
5 has to do with injecting gas into your system, I assume.  
6 It says:

7 "Enbridge can only accept gas when system  
8 capacity is available. If applicable, the  
9 producers would be provided options for  
10 connection to the Enbridge system. In some cases  
11 connection to a different system or pipeline can  
12 increase the takeaway capacity, and then the  
13 costs of the connection to the Enbridge system  
14 will be included in the RNG injection services  
15 fee."

16 MR. MCGILL: Right.

17 MR. BUONAGURO: And I think you've spoken a little bit  
18 about this already, but I want to get some further detail  
19 if you could.

20 It sounds to me like you can't just connect to any  
21 part of your distribution system and get the same injection  
22 capacity, right?

23 MR. MCGILL: That's correct, yeah, so what we're  
24 trying to get at in this response is, is that if there were  
25 -- if we had two parts of our pipeline system that were in  
26 reasonably close proximity to an RNG production site, it  
27 could be that in one of those parts of the system our  
28 ability to take gas away from that site is more

1 constrained. So if that part of the system was operating  
2 at or near its maximum pressures more often than not, then  
3 there would be periods of time where we just couldn't take  
4 the gas into the system, and then you'd either have to shut  
5 down the upgrading facility and, you know, the gas would  
6 either have to be reprocessed back through a digest or a  
7 flared.

8 But then, you know, there could be another part of our  
9 system that is slightly further away that does have the  
10 capacity to take the gas or take the RNG away more of the  
11 time, so then you would look at it and say, well, in this  
12 specific set of circumstances are you better off to do the  
13 shorter pipeline connection to the part of our system that  
14 has the limited takeaway capacity, or spend more money to  
15 get to another part of our system that has a greater  
16 takeaway capacity. And the economics of that would be  
17 unique to every situation.

18 MR. BUONAGURO: Okay. Thank you, that helps.

19 Now, does that -- let's say you have a situation where  
20 you've connected someone at a particular point after going  
21 through that analysis and figuring out, from their  
22 perspective, an optimum connection point.

23 Intuitively I'm concerned that the takeaway  
24 capacity -- I think that's what you've referred to -- yeah,  
25 the takeaway capacity for any particular area in your  
26 system, including the area that we're talking about in the  
27 hypothetical, could change over time based on a number of  
28 factors; is that true?

1 MR. MCGILL: Yes, it could.

2 MR. BUONAGURO: So how does that affect -- or how  
3 could that affect the operation of that particular producer  
4 over time in terms of its ability to inject into the  
5 system?

6 MR. MCGILL: Again, it would be circumstantial and  
7 sort of case-specific, but in an instance where we had load  
8 growth in that area, our takeaway capacity is likely to  
9 increase, so that there would be potential for that  
10 producer to introduce more gas into our system than  
11 otherwise.

12 If we lost load in that part of the system, then it is  
13 likely that the takeaway capacity would decrease and we  
14 would be able to take less of the RNG from that production  
15 facility.

16 So that's one of the reasons, in order to try and, you  
17 know, reduce the risk to the company and the ratepayers  
18 associated with the service, we've gone to this levelized  
19 fee whereby the biogas producer will pay the same amount  
20 regardless of the amount of gas that's injected into our  
21 system.

22 MR. BUONAGURO: Right, so -- and what you're telling  
23 me there is that -- I think, is that if -- and from a  
24 producer's point of view, if the ability to inject gas in  
25 the system happens to go down over time, which, you haven't  
26 talked about how likely that is. I think you're saying  
27 that as long as load growth goes up it should actually  
28 increase over time, but if it goes down over time that

1 doesn't change how much they're paying under your proposal.

2 MR. MCGILL: That's correct.

3 MR. BUONAGURO: Thank you. And lastly, actually, just  
4 to summarize what I understood from a lot of the  
5 conversation you had this morning with, I think, Board  
6 Staff and Ms. DeMarco, there was a lot of discussion about  
7 environmental attributes, and I'm -- and I told Ms. DeMarco  
8 I'm guilty of misusing the term, maybe using it too  
9 generically or not narrowly enough, but my understanding is  
10 even if I use it in the broadest sense of the word,  
11 environmental attributes, your proposal for the pricing of  
12 the Rate 400 and the Rate 401 services essentially ignores  
13 environmental attributes; is that fair?

14 MR. MCGILL: Yes, we don't take that into account in  
15 the determination of what the rate would be under either  
16 one of those rate schedules.

17 MR. BUONAGURO: Right, so you could offer the same  
18 sort of pricing model for conventional natural gas coming  
19 out of my backyard in downtown Toronto -- I wish that would  
20 happen -- but it would still hold as a pricing model?

21 MR. MCGILL: Yes, and -- depending, yes, so the  
22 pricing model would hold true, yes.

23 MR. BUONAGURO: Okay. Let me just check to make sure  
24 I didn't miss anything.

25 No, thank you, those are my questions.

26 MR. MURRAY: I think now is probably a good time to  
27 break for lunch, but if I could ask people take a short  
28 lunch break and come back at ten to 2:00.

1 --- Luncheon recess taken at 1:05 p.m.

2 --- On resuming at 1:55 p.m.

3 MR. MURRAY: Welcome back, everyone. I think we now  
4 are now on Ms. Girvan for CCC.

5 **EXAMINATION BY MS. GIRVAN:**

6 MS. GIRVAN: Thank you. I will give you the reference  
7 for each of them.

8 Could you first turn to Board Staff number 1, please?  
9 If you could just scroll down. I'm looking at my own --  
10 sorry, I'm looking at my own computer and it wasn't  
11 scrolling down. If you turn to the third point, it says  
12 that:

13 "Enbridge is aware of other organizations that  
14 capable of providing the design of RNG upgrading  
15 facilities and supplying the necessary  
16 equipment."

17 Could you tell me how many other organizations are  
18 doing this when you talk about the ones that are -- other  
19 organization that are capable?

20 MS. FRASER: And the engineering --- .

21 MS. GIRVAN: Any engineering firm.

22 [Laughter]

23 MR. CHAGANI: I guess there's two elements to that,  
24 right? The first one is the design of the RNG upgrading  
25 facilities, and there are a number of engineering companies  
26 that would be able to support that design.

27 And then the second piece is the equipment providers.  
28 So I don't know the number of equipment providers, but

1 there's at least a dozen companies that can do similar  
2 functions of cleaning the biogas to meet pipeline  
3 specifications.

4 And Enbridge, if we were undertaking the activity,  
5 would hire one of these equipment providers to actually  
6 like build the membranes and clean-up equipment that we  
7 would then get installed.

8 MS. GIRVAN: Okay, thank you. If you could turn to  
9 APPrO number 2, please. In part C, I'm trying to  
10 understand the answer there about the risk faced by  
11 ratepayers will be equivalent to those they face today in  
12 respect of any other investment. Could you explain that to  
13 me?

14 MR. MCGILL: Yes, I think -- we talked about this  
15 earlier today, and that -- so the EBO 188 guideline is  
16 designed to ensure that new customers aren't subsidized by  
17 existing customers of the utility.

18 And so what -- and that test is based on a discounted  
19 cash flow calculation that's supplied to the net revenues  
20 of the project and compares that to the net present value  
21 of the cost of the projects and the result. And the  
22 result, in order to go ahead, needs to be a PI of 1.0 or  
23 higher.

24 So what that means is that on a forecast net present  
25 value basis, there is no cross-subsidy if you are at a PI  
26 of 1.0 over the life of those assets.

27 But what you do have, as I described earlier, is that  
28 temporal revenue deficiency in the early years that's made



1 up by revenue sufficiencies in the latter year, so that  
2 over the course of the life of the asset, you end up with a  
3 -- in the case of a PI of 1.0, a net present value of zero,  
4 which infers that there is no subsidy from existing  
5 ratepayers to support the addition of those new customers.

6 So that logic applies directly to the way we've gone  
7 about setting up the rate-setting process for rates 400 and  
8 rate 401, so that if you're applying EBO 188 as the  
9 feasibility test for any other utility investment, you  
10 still face that same early year revenue deficiency and  
11 latter year revenue sufficiency with any other investment  
12 the utility would make.

13 So on that basis, it's our position that the risk to  
14 ratepayers is no different than it would be for a regular  
15 main extension, or the addition of subdivision customers,  
16 or any of our other regular business.

17 MS. GIRVAN: And it says -- I may have missed this,  
18 but how long are these contracts?

19 MR. MCGILL: In the example we're showing, it's a 20-  
20 year contract. They could be anywhere from 10 to 20 years.

21 MS. GIRVAN: And you are asking the Board for approval  
22 of that, anywhere between 10 and 20 years?

23 MR. MCGILL: Well, we would set the rate to recover  
24 the costs over whatever the contract life span was. So if  
25 it was a 15-year contract, let's say, we would set the  
26 rates such that we would recover all of our cost on a  
27 discounted basis over that 15-year contract life.

28 MS. GIRVAN: Okay. But what do you think is going to

1 be the standard? Is it ten years? Is it 15? Is it 20?

2 MR. MCGILL: So there's two considerations. One is  
3 the estimated physical life of the upgrading facilities is  
4 20 years. So that kind of sets the maximum contract span.  
5 And then the other requirement of EBO 188 is that for  
6 industrial customers, we do the feasibility test over 20  
7 years --not longer than 20 years. So we're consistent with  
8 that element of EBO 188 as well.

9 MS. GIRVAN: But do you -- do you think they are all  
10 going to be 20 years, or some of them might be 10?

11 MR. MCGILL: I don't know.

12 MR. CHAGANI: We expect that the feedstock would play  
13 into that as well. So there's some biogas feedstock that,  
14 like landfills for instance, that have a shelf life or a  
15 point where they won't be generating biogas anymore.

16 So we would work with the producer to determine the  
17 lifetime that they see as best. And in the event that they  
18 don't produce, again our rate is fixed, a set amount every  
19 single month, so they would have to continue to pay us. So  
20 it would be in their best interest to work with us on what  
21 that timeline looks like.

22 MS. GIRVAN: So you are not asking the OEB to approve  
23 the contracts; you are asking the OEB to approve the rate?

24 MR. MCGILL: Yes, what we're asking the Board to  
25 approve is the rate-setting methodology, because we'd end  
26 up with a unique rate for each facility.

27 MS. GIRVAN: Okay. All right, thank you. Mr. McGill,  
28 you spoke earlier about the accelerated capital cost

1 reduction, and that that's an advantage that Enbridge would  
2 have in this case?

3 MR. MCGILL: Yes, it is the accelerated capital cost  
4 allowance for tax purposes. So in terms of deducting the  
5 capital cost of these investments for the purposes of  
6 determining income tax payable, you are allowed to  
7 depreciate these assets on a faster timeframe than what you  
8 would typically see because they are supporting the  
9 production of renewable energy.

10 MS. GIRVAN: Doesn't that give you an advantage over  
11 other potential upgraders?

12 [Witness panel confers]

13 MR. MCGILL: So the capital cost treatment would apply  
14 the same to anyone that's entering into this line of  
15 business, because that's part of the Income Tax Act. It's  
16 outside of, you know, sort of our rate-setting scope.

17 MS. GIRVAN: But I thought you said that's an  
18 advantage that you have doing -- dealing with the utility.

19 MR. MCGILL: So you have -- okay, so if you were  
20 having dedicated start-up company that had no other sources  
21 of income other than providing these RNG services, then  
22 they would have no income to apply, or very little income  
23 to apply that tax deduction against. And so they wouldn't  
24 get the tax -- the same kind of tax benefit that a larger  
25 organization that already has taxable income flowing into  
26 it would receive from being able to take advantage of the  
27 accelerated capital cost allowance.

28 MS. GIRVAN: All right, thank you. Could you turn to

1 CBA number 2, please?

2 I think Mr. Buonaguro was asking you about this, but  
3 there is one production facility operating currently in  
4 Ontario, that's correct?

5 MR. MCGILL: Yes.

6 MS. GIRVAN: And how long do you think it will take  
7 for more suppliers to be up and running?

8 MR. MCGILL: Well, we -- I think on average, it's  
9 probably -- from the time the contracts are executed, it's  
10 probably about a two-year lead time to get one of these  
11 facilities built and installed and up and running, so, you  
12 know, we have one facility that is in the process of being  
13 designed right now. I think the target date to bring that  
14 into service is late 2019, so, you know, that's sort of the  
15 order of the time scale it takes in order to get these  
16 things built and up and running.

17 MS. GIRVAN: And will this be dependent on government  
18 funding of the actual biogas?

19 MR. MCGILL: Not necessarily. If the RNG is being  
20 sold to either parties that seek it today inside Ontario or  
21 parties that seek it outside of Ontario today, then that  
22 means there's a market for the RNG and that a need for  
23 someone to facilitate the production of that RNG.

24 MS. GIRIDHAR: So, you know, RNG, we are finding in  
25 our discussions with municipalities that there is a couple  
26 reasons why they like RNG. Some of it is, respond to that  
27 community energy plans, but several of the larger  
28 municipalities that also have green-bin organic collection

1 systems, they're interested in using RNG for  
2 transportation, so a number of jurisdictions have --  
3 actually converting their garbage collection trucks to CNG,  
4 or compressed natural gas, and then, you know, they are  
5 attracted by the notion of generating renewable natural gas  
6 from the waste collected and using it to fuel their trucks,  
7 so sort of a -- what is it you call it --

8 MR. MCGILL: Well, it's a circular economy, so --

9 MS. GIRIDHAR: Circular economy.

10 MR. MCGILL: -- so I think it was late in 2016 the  
11 provincial government actually tabled proposed legislation.  
12 I think it was called the Circular Economy Act. Part of  
13 this was bringing forward a prohibition on putting food  
14 waste into landfills, so that actually you could capture  
15 that waste and turn it into some kind of renewable fuel  
16 source, so that legislation didn't go forward, but the  
17 prohibition on food waste in landfills was, again, looked  
18 at last year. There's no legislation in place as of yet  
19 with respect to that, but that's another consideration for  
20 the municipalities.

21 If they're forced in -- those that don't have green-  
22 bin programs today, there's a good likelihood that they  
23 will be required to implement that type of program in the  
24 not too distant future, which means they need to find a  
25 home for this food waste that they'll be collecting.

26 MS. GIRVAN: Okay, could you turn to FRPO number 1,  
27 please? Could you explain to me what the underlined  
28 sentence means?

1 MR. MCGILL: That:

2 "Enbridge will enable the movement of that gas to  
3 a terminal location of the producer's choice  
4 through the various service offerings Enbridge  
5 provides its customers today."

6 So that -- so if you follow up on Malini's example, so  
7 let's say you're looking at a municipality that is  
8 producing RNG and they want to use it to fuel their garbage  
9 trucks, so typically the garbage trucks wouldn't be located  
10 at the same site as the RNG facility would be, so that we  
11 would enter into gas transportation agreements, as we would  
12 to move gas today on -- for -- on a, you know, more  
13 traditional basis, to move the gas from the RNG production  
14 site to the site where that customer wants to use the gas.  
15 So in this example it would be an NGV refuelling station  
16 dedicated to refuelling those garbage trucks.

17 MS. GIRVAN: Okay, you talked earlier about an example  
18 of someone that's 20 kilometres away from your existing  
19 system?

20 MR. MCGILL: Yes.

21 MS. GIRVAN: And it's still not clear to me who pays  
22 for that 20 kilometres of pipe.

23 MR. MCGILL: In our proposal that cost would be  
24 recovered through the injection service fee.

25 MS. GIRVAN: Okay, okay, and you mentioned that you  
26 have now an agreement with Toronto Hydro?

27 MR. MCGILL: No, it is the city of Toronto.

28 MS. GIRVAN: The city of Toronto, sorry. And can you

1 tell me how that's become viable? Are there subsidies from  
2 the city of Toronto for that program?

3 MR. MCGILL: Well, with respect to our relationship  
4 with the city of Toronto there is no provincial or other  
5 government subsidies that we're aware of. I am aware that  
6 the city of Toronto did get -- or I believe has been  
7 awarded some money from the province to offset the cost of  
8 building the facility.

9 MS. GIRVAN: Okay, because you had said it doesn't  
10 matter if it's in the utility or out of the utility, it's  
11 still a viable opportunity.

12 MR. MCGILL: I don't know that I said that  
13 specifically, but the city of Toronto is going ahead with  
14 the project, you know, even though the province -- or the  
15 new provincial government is in the process of unwinding  
16 the cap-and-trade program.

17 MS. GIRVAN: But regardless of whether or not you get  
18 approval from the Board to have this program in the  
19 utility.

20 MR. MCGILL: Yes, we're prepared to go ahead with the  
21 city of Toronto and honour the commitment -- the  
22 contractual commitments we've made to them.

23 MR. QUINN: I just wanted to ask a follow-up question  
24 in that area too, because I think the words you used is  
25 "the way the contract was drafted".

26 [Witness panel confers]

27 MR. MCGILL: Sorry --

28 MR. QUINN: No, no, I want to respect -- you were

1 talking. I just -- I was following up on Julie's question.  
2 I think the words you used is "way the contract is  
3 drafted" --

4 MR. MCGILL: Yes.

5 MR. QUINN: -- "whether we get approval or not we  
6 would still proceed with the city of Toronto project"; do I  
7 -- got that right?

8 MR. MCGILL: Yes.

9 MR. QUINN: Okay. So my question is -- and without  
10 getting into the details of the contract -- I'll respect  
11 that, but if the Board does not approve the 401 rate for  
12 injection as part of this proceeding, are you saying that  
13 your drafting of your contract would allow you to support  
14 Toronto -- city of Toronto in using its facility on its  
15 own? So in other words, the gas doesn't hit your system.

16 MR. MCGILL: Well, I think the -- given the nature of  
17 the location, I think the gas would have to enter our  
18 system in order to be useable. I don't think the city  
19 could, you know, use the volume of RNG that would produce  
20 at the site where the production facility is.

21 MR. QUINN: Okay.

22 MR. MCGILL: So we would have to move the gas for them  
23 somewhere. That would be up to the city to decide where we  
24 would move that.

25 MR. QUINN: But your mechanism and your rate to inject  
26 the gas, if it's not approved by the Board, what  
27 authorization would you have to take that gas into your  
28 system?



1 MS. GIRIDHAR: I think that is the case we are making  
2 here. There is a demand for RNG. We have a customer that  
3 is seeking the service, so certainly the injection service  
4 is something that we would -- that the city of Toronto  
5 would like to have approved so that they can inject that  
6 RNG into the system.

7 MR. QUINN: But again, I don't want to -- it's in the  
8 transcript, but if you are saying you are going to go ahead  
9 whether this is approved or not, I'm -- I don't understand  
10 how you are going to do that without Board approval.

11 MS. GIRIDHAR: I think the context on the -- was  
12 specifically with respect to the upgrading service, in that  
13 it has been designed -- the upgrading service has been  
14 designed on the principles we have here, and we would move  
15 forward to provide them with the upgrading service, but I  
16 think it's fair to say that we are looking to have the  
17 means to inject RNG into our system as well.

18 MR. QUINN: So that -- the premise is that the 401  
19 service has to be approved by the Board in one way, shape,  
20 or form. The 400 service could be something that the Board  
21 decides differently, but to be able to have the gas enter  
22 your system, are you -- you would need some kind of rate to  
23 do that if you are going to be asking...

24 MR. MCGILL: We would need a mechanism to recover the  
25 cost of that injection facility.

26 MR. STEVENS: I think to be fair, Dwayne, we'd have to  
27 understand the basis on which the Board declined to approve  
28 these services.

1 MR. QUINN: Okay. If --

2 MR. STEVENS: If, for example, the Board declined to  
3 approve the injection service because for some reason it  
4 was viewed to be a competitive service --

5 MR. QUINN: Right.

6 MR. STEVENS: -- that might not close the door on  
7 being able to offer that service in some other way.

8 MR. QUINN: Okay, and that's sufficient, Mr. Stevens,  
9 and I don't want to take Julie's time here. I had  
10 questions in this area. I'll loop back on some follow-up  
11 questions, but that's sufficient for this point. Thank  
12 you.

13 MS. GIRVAN: Okay, and just one last question. Can  
14 you explain the extent to which Enbridge is working with  
15 Union Gas on these initiatives?

16 MR. MCGILL: I would say it's on a very limited basis.  
17 I think they're aware of what we are doing. I'm not aware  
18 of any proposals comparable to this that they have on the  
19 table at this point in time.

20 MS. GIRVAN: So it's not the intent to have this type  
21 of thing through a merged company?

22 MR. MCGILL: It may be. It will depend on what that  
23 merged company or integrated company looks like after that  
24 process is complete.

25 MS. GIRIDHAR: To be clear, this is an area that, you  
26 know, like others where there was not been any detailed  
27 discussions or planning on this issue.

28 MS. GIRVAN: Okay, all right. Thank you.

1           **EXAMINATION BY MR. YAUCH:**

2           MR. YAUCH: Good afternoon. I have very few  
3 questions; a lot of them have been asked and answered.

4           If we could go to Board Staff number 1. In part A,  
5 response A, part 3, you sort of lay out why you should be  
6 allowed to do this, and two of the reasons are it won't  
7 affect market competition and you won't have a monopoly on  
8 this business.

9           I heard you earlier speak about your weighting cost of  
10 capital, in fact, because you are a regulated utility and  
11 it is a bit lower than if this was in non regulated  
12 business.

13           Well, does that not act as a little bit of a  
14 competitive advantage to you if you are entering into this  
15 market compared to other companies, the fact that you can  
16 use your regulated cost of capital which is lower than a  
17 non-regulated company?

18           MR. MCGILL: Well, I think it comes down to the cost  
19 of capital that our company is willing to accept. So if  
20 our parent is willing to invest funds in the regulated  
21 business that offers an OEB-approved rate of return on  
22 equity, then that's the choice of our parent.

23           If a competitor wanted to make comparable investments  
24 in the same kind of facilities and earn a comparable  
25 return, then that would be up to them to decide what return  
26 they require in order to go ahead with that investment.

27           MR. YAUCH: This being a new industry, as you admit in  
28 that answer, there isn't really any other regulated utility

1 that would get in this space. There would be start-up  
2 companies; it's a new industry, a new company, and they  
3 wouldn't have access to the same type of cost of capital  
4 that you would you have, correct?

5 MR. MCGILL: Well, again I think it comes -- from a  
6 competitive standpoint, it comes down to what level of  
7 return a competitor would see as acceptable.

8 So in our case, our parent company is willing to  
9 continue to invest in the utility and earn the utility's  
10 regulated rate of return. That rate of return might not be  
11 satisfactory to other parties, so they might require a  
12 higher rate of return or choose not to enter into this  
13 business.

14 But in terms of competition, I think we're all on  
15 equal ground here in terms of, you know, this is what the  
16 returns that our company is willing to accept and then it's  
17 up to others to decide whether or not, you know, they can  
18 offer the service at the same cost.

19 MR. YAUCH: Okay. As part of your application, there  
20 is a PI of 1.1. So the way I interpret that is ultimately  
21 current ratepayers benefit just a little bit, that .1  
22 higher, correct?

23 MR. MCGILL: Correct.

24 MR. YAUCH: If you ran it through a non-regulated  
25 business, so an a affiliate, that 0.1 would flow to your  
26 shareholders as opposed to ratepayers, right? There would  
27 be a advantage to a utility to doing in that manner?

28 MR. MCGILL: If it was all things equal in terms of

1 the two businesses, and the way they are funded, and the  
2 cost structures and whatnot, yes.

3 But, you know, I can speak from my own experience in  
4 competitive business, that competitors don't always make  
5 money; they sometimes enter markets at a loss. You know,  
6 I'm very familiar with running retail businesses, so when  
7 we put things on sale at 50 or 70 percent off, the people  
8 that bought those items at 100 percent of the original  
9 price are subsidizing the people that bought the sale items  
10 later on.

11 So it's very hard, when you go into a competitive  
12 world, to compare that to what we do here in a utility.  
13 There's different motivators behind what you do in  
14 competition.

15 MR. YAUCH: Organizationally, we looked at it. We  
16 sort of said, well, if there's no advantage to you being a  
17 regulated utility doing this, or you're not going to have  
18 any impact on competition in it, but yet if you did do it  
19 in a non-regulated environment, you'd actually have a  
20 potential to earn higher income for your parent company.

21 We sort of wondered why wouldn't you do it through an  
22 affiliated company. If everything else is equal, why  
23 wouldn't you try to get that benefit to Enbridge, rather  
24 than try to run it through to ratepayers?

25 MR. MCGILL: Well, I think we see this as an  
26 appropriate utility activity. I think that's the main  
27 reason and, you know, we are well-positioned to offer this  
28 service. I think if others outside of the regulated utility

1 industry were to offer this service, it would look very  
2 different, you know, because they would have different  
3 motivations with respect to why they're entering this line  
4 of business. It might be commodity-driven, have all kinds  
5 of different objectives associated with it.

6 So as I said earlier, right now we are not aware of  
7 anyone who is offering this service, you know, on a similar  
8 basis to the way we're proposing to do it. There are some  
9 people that will go out and build facilities for a client  
10 that will take those over and run them and operate them  
11 themselves. I think there's others from a standpoint of a  
12 commodity markets that might approach, you know, these  
13 kinds of opportunities in a very different way than the way  
14 we're looking at it.

15 MR. YAUCH: Your motivation, if I -- I don't mean to  
16 put words in your mouth. But your motivation is that this  
17 is an appropriate utility business model and that's why  
18 you're doing it?

19 MR. MCGILL: Yes.

20 MR. YAUCH: If we could go to Energy Probe number 2,  
21 please. So first off, I've read a lot of IR responses in  
22 my life. I don't think they've ever been as thorough as  
23 this one.

24 I just have two questions on it. The bottom of the  
25 second paragraph to response A, you said:

26 "Enbridge requests the opportunity to make  
27 further submissions about this topic before the  
28 Board makes any preliminary or final

1           determination on any associated issues."

2           Is Enbridge planning on providing more evidence or --  
3 I didn't really understand that comment. Is there more to  
4 come, or is this...

5           MR. STEVENS: I think what we were signalling is  
6 that -- as you point out, Brady, this is a pretty  
7 comprehensive answer and we didn't want the Board to think,  
8 though, that this is the sum total of any legal argument  
9 that we might make if the Board decided that this was a  
10 specific discrete issue that needs to be dealt with.

11          So we have no present intention to supplement this  
12 answer, but there may be more that we have to say if this  
13 became an issue out at a hearing.

14          MR. YAUCH: The legality of -- or the Board's mandate  
15 in relation to this program?

16          MR. STEVENS: Exactly.

17          MR. YAUCH: Okay. Can I ask -- my last question is in  
18 the final paragraph -- the second to final paragraph, you  
19 say:

20                 "Finally, Enbridge asserts that even if the Board  
21 should find that it does not have the express  
22 jurisdiction to permits, including this," blah,  
23 blah, blah, "...it should be permitted on the  
24 doctrine of necessary implication."

25          So am I right to interpret that even if you don't  
26 think the Board has a mandate -- if it doesn't believe it  
27 has a mandate, you believe that the Board has a mandate?

28          MR. STEVENS: I think what we were intending to signal

1 by pointing to the doctrine of necessary implication is  
2 that if the Board were to determine that the specific words  
3 of the statute do not support these activities, there's  
4 still a second argument to be made that a broader  
5 interpretation of the statute has to be made to allow such  
6 activities, because that's the way that the Board can in  
7 fact actuate or bring into practice its statutory aims and  
8 the policy expectations of the government.

9 MR. YAUCH: All right. Those are my questions. Thank  
10 you very much.

11 MR. QUINN: Yes, thank you and I might -- let's put it  
12 this way. I appreciate the panel's answers today. Some of  
13 my questions have been answered, but it's created more  
14 questions. So if this doesn't flow well, I apologize up  
15 front.

16 I'm going to start where Brady left off. This is in  
17 Energy Probe number 2 and I was kind of surprised to read,  
18 just further down in that, it says -- on page 2, the second  
19 full paragraph -- sorry, third full paragraph, the part  
20 that is italicized is:

21 "The Board's statement that responsibility of GHG  
22 emissions-related gas delivery is an ongoing  
23 business obligation of a natural-gas distributor  
24 under the Climate Change Act part of the  
25 utility's cost of providing distribution service  
26 similar to other delivery costs."

27 Now, that is -- and I was obviously quoted -- is from  
28 the Board's determination, but is it not true that Enbridge



1 did not support that approach in that same proceeding?

2 MR. STEVENS: I mean, Enbridge may have taken  
3 different positions, but Enbridge certainly accepts and  
4 governs itself in accordance with the decisions that are  
5 ultimately made.

6 MR. QUINN: But -- and thank you, Mr. Stevens. I  
7 understand that. But if changes in government and  
8 government policy and potentially climate change acts are  
9 made, if this is the premise for this service is that  
10 because it's part of the ongoing responsibility of a  
11 distribution service, like other delivery costs, if this is  
12 the premise to say therefore it must be a utility service  
13 and is a part of our doing business, do we not lose that?  
14 Like, without that reason for being, which may or may not  
15 change in the future, we have a 20-year -- you are entering  
16 into 20-year agreements that might live beyond those --  
17 those words?

18 MR. STEVENS: I think it's fair to say, Dwayne, that  
19 where there's specific reliance in the application on  
20 specific policies and legislation and then subsequently  
21 those policies or legislation change, then they can't --  
22 it's fair to say that that's no longer something that can  
23 be relied upon.

24 That said, I think at a higher level, as the witnesses  
25 explained from the beginning today, that there continues to  
26 be, as far as we're aware, a governmental interest and  
27 imperative in reducing emissions regardless of cost of  
28 carbon questions, and the RNG program is designed to enable

1 the growth of an RNG market that's going to help support  
2 those aims being realized.

3 MR. QUINN: Okay, and I know we don't want to maybe  
4 deal too much in the hypothetical, but maybe the specific  
5 question is: Is Enbridge relying on that statement to say  
6 ergo we need to have a rate that is a distribution rate for  
7 our service?

8 MR. MCGILL: Well, I think, you know, some of the  
9 points we've been trying to make today is that regardless  
10 of what happens with respect to carbon pricing in the  
11 province of Ontario, there is still a demand for these  
12 services in the market we serve and that we believe that we  
13 are in a good position to meet that demand and that we  
14 brought forward, you know, a reasonable and well thought  
15 out proposal which -- in terms of how we intend to meet  
16 that demand for these services, so I think that with  
17 respect to RNG, as I said earlier, I think the model stands  
18 up on its own. As long as there's parties out there that  
19 are willing to contract for these services, then I think we  
20 should be in a position to provide them.

21 MR. QUINN: Okay, thank you.

22 Earlier today we had -- there was a -- we've had  
23 discussions with a number of parties regarding the --  
24 specifically the upgrading service, so separating it out  
25 and saying we are just talking about the upgrading service,  
26 and at different times you've talked about companies,  
27 including potentially an affiliate of yours, looking for a,  
28 potentially, a higher rate of return, so if -- again, I

1 don't want to put words in your mouth, but Enbridge Inc.  
2 were to do this, they might be seeking a higher rate of  
3 return; is that correct?

4 MR. MCGILL: They may, depending on what other  
5 initiatives an RNG upgrading initiative would be competing  
6 with.

7 MR. QUINN: Okay.

8 MR. MCGILL: So, you know, they're looking at other  
9 projects across North America or actually worldwide and,  
10 you know -- so it would depend on, you know, how the  
11 viability of an RNG upgrading project compared to  
12 whatever's on the menu at any point in time.

13 MR. QUINN: So that's a competition internally for  
14 capital, internal --

15 MR. MCGILL: If we are talking about an Enbridge  
16 affiliate, that is the kind of competition for --

17 MR. QUINN: Right.

18 MR. MCGILL: -- capital it would face.

19 MR. QUINN: Right, and so if another party -- and you  
20 started down this road just a short while ago, Mr. McGill,  
21 in terms of why parties might enter this space to compete  
22 for it, and they may or may not, I think was your outcome  
23 of what you were saying, they may or may not seek a higher  
24 rate of return depending on what their reasons are for  
25 entering the market?

26 MR. MCGILL: Yes.

27 MR. QUINN: Okay, now, when you're talking with  
28 Mr. Vellone this morning, you were talking about the co-

1 locating of those facilities, and from an engineering  
2 perspective that makes a lot of sense. You know, you've  
3 got opportunity, and you may have telemetry and other  
4 things that it's easier to have the two together.

5 But does that not give Enbridge a competitive  
6 advantage, a sustainable competitive advantage, over any  
7 other competitor to say, we're going to likely have these  
8 upgrading and injection facilities co-located so, as you  
9 said yourself, it's going to lower our cost for doing that?  
10 Does that not give you a sustainable competitive advantage  
11 over another provider?

12 MR. MCGILL: Well, not necessarily. So the upgrading  
13 facility is discrete from the injection facility, so I  
14 don't see there's any reason why, you know, a third party  
15 couldn't come in and provide the upgrading facility and  
16 operate it on behalf of a client and then the upgraded gas  
17 passes into our injection facility and then goes on into  
18 the gas distribution system.

19 So, you know, there may be some savings in terms of  
20 building these things on an integrated basis, but we would  
21 be working with our customer to do that anyway. You know,  
22 you can't just work in isolation when you are trying to  
23 build an integrated facility.

24 MR. QUINN: I guess I have an appreciation for that,  
25 but from my experience, having one contractor on-site doing  
26 two facilities and the facilities are similar valves and  
27 the valves go together the same way with the pipe, that, in  
28 and of itself, is going to give an opportunity to lower the

1 cost of the two facilities or, in this case here, half of  
2 the facility.

3 MR. MCGILL: It may, but again, like, we have to work  
4 with the customer, and the customer's not going to go ahead  
5 with the project on any basis if it can't be made to work  
6 in an economic way, so I think there's elements in the  
7 process of negotiating arrangements with the customer that  
8 would dictate that these things are built in a cost-  
9 effective way.

10 So like I said earlier, there may be some advantages  
11 of building these things in a more integrated way, but I  
12 don't see that as being significant advantage that we would  
13 have.

14 MR. QUINN: Okay. We may disagree at some point, but  
15 I'm going to move on. If you establish that the customer  
16 is going to move forward if it's economic, and we may or  
17 may not agree whether you could do it more economically  
18 than company X, Y, Z, but to the extent there is really or  
19 perceived benefit from dealing with one party as opposed to  
20 two parties, one for upgrading, one for injection, isn't  
21 there a risk that while you are trying to spur a market you  
22 are actually inhibiting the market development because of  
23 the -- how you are rolling the system out?

24 MR. MCGILL: Just give us a moment, please.

25 [Witness panel confers]

26 MS. GIRIDHAR: I don't think that's true, Mr. Quinn,  
27 just based on the experience we had. Now, I can't say too  
28 much about the RFP that we held recently, but we got some

1 very good responses, and some of those responses wanted to  
2 take the upgrading service from us and others did not. So,  
3 you know, we went through the process of providing costs,  
4 and they presumably could have compared that with whatever  
5 it is that they were coming up with, and a number of them  
6 were not interested in the upgrading service, so I -- as  
7 Mr. McGill explained, I think it really depends, you know -  
8 - largely we think municipalities like the notion of  
9 getting an upgrading service from us because they like that  
10 we take care of it, you know, and as a public utility  
11 that's regulated, there is transparency around the costs,  
12 it fits with their, you know, their model that the  
13 transparency that we provide. There are other private  
14 operators that might just be interested in taking an  
15 injection service from us. We don't believe it hampers the  
16 market in any way. It facilitates the market. It's an  
17 enabling service and it's been specifically designed to  
18 enable the market.

19 MR. QUINN: Okay, and I appreciate your answer. And  
20 again, we may or may not see it the same way, but I'm going  
21 to ask one more question in this area.

22 How the service is costed can have a big implication  
23 and when Mr. McGill was talking about the retail market,  
24 for some of our -- some people in this room had careers  
25 that spanned the days of rental water heaters. And to the  
26 extent that there's costs allocated differently, whether  
27 the service is part of the utility or not part of the  
28 utility, that can make a big difference in terms of the

1 value or the price to the customer.

2 So my question specifically is how is Enbridge going  
3 to assure the Board that there is a proper allocation of  
4 these respective costs, such that the upgrading service  
5 isn't somewhat subsidized by the higher cost of the  
6 monopoly-required service, the 401 service?

7 MR. MCGILL: Well, I think -- you know, I think the  
8 comfort around the way the costs are allocated comes from  
9 the way these contracts will be negotiated. So they'll be  
10 negotiated with the customer.

11 They will all be site-specific. They will all have  
12 different costs. We will be breaking out the cost of the  
13 upgrading component and the injection component separately.  
14 So there is going to be a full view to what those -- what  
15 the rates for each of those two services are covering in  
16 terms of cost recovery.

17 So that's all broken down and, as Malini said, it is a  
18 very transparent process. It is a cost of service  
19 calculation, so that, you know, our customer can see  
20 exactly what's going into it in terms of capital cost,  
21 operating cost, our returns, et cetera.

22 So the whole process is transparent from the  
23 customer's standpoint, and I think that should satisfy any  
24 concerns as to how we're allocating costs to these things.

25 MR. QUINN: Would the Board see those costs. You  
26 mentioned earlier that a number of these would have a leave  
27 to construct. It would only be when there is a pipeline  
28 added and it creates a leave to construct, will the Board

1 see these costs?

2 MR. MCGILL: Well, they certainly would in the  
3 situations where there's leave to construct. You know in  
4 terms of the application of the -- so the guidelines around  
5 when a leave to construct is required, I think the capital  
6 cost of these facilities would, in most cases, require some  
7 form of leave to construct application. So I think the  
8 Board would see most of that.

9 It's hard for me to imagine situations where they  
10 wouldn't. And I think, in any case, the Board would always  
11 have the authority to look at what we're doing and  
12 understand the cost associated with these services, in any  
13 case.

14 MR. MONDROW: Dwayne, if you are going to leave this  
15 topic --

16 MR. QUINN: I was about to, Ian. Go ahead, proceed.

17 MR. MONDROW: Just while we're on it, Steve, you don't  
18 need a leave to construct for the upgrading facilities that  
19 you are proposing?

20 MR. MCGILL: Well, I think that's something we haven't  
21 really decided as of yet.

22 I'm trying to think of the -- there's the four  
23 criteria for a leave to construct and one is the pipe size,  
24 one is the capital cost is 2 million, one is the operating  
25 pressure and there's four -- the length of the pipe.

26 So I think where we could find ourselves having to go  
27 to a leave to construct on these things is on that  
28 \$2 million cost item.



1 MR. MONDROW: All right. And in the leave to  
2 construct then, do you intend to present evidence of how  
3 overheads, utility overheads are allocated into the price  
4 that -- or the rate that you are recovering, or propose to  
5 recover from the customer?

6 MR. MCGILL: Well, I think we would be showing the  
7 costs that are allocated to the project, yes. So, you  
8 know, in terms of the degree of detail in terms of how we  
9 go through the cost allocation process, that's something we  
10 do as a regular part of our business today with respect to  
11 costing affiliate transactions, or things of that nature,  
12 and we have processes in place to determine those allocable  
13 costs that are consistent with the Affiliate Relationship  
14 Code.

15 So we would be using that is the guideline on which we  
16 would allocate costs to these projects.

17 MR. MONDROW: That's fair enough. When you answered  
18 Dwayne's questions, you talked about transparency to your  
19 rate 400 or rate 401 customers.

20 The issue that some of us are concerned about, I think  
21 -- and I think the Board would be concerned about is the  
22 avoidance of a subsidy from ratepayers. And it's the Board  
23 on behalf of ratepayers that would need to see you are  
24 recovering all the costs related to that activity from the  
25 customers of that activity.

26 You would be prepared to demonstrate that in these  
27 proceedings, presumably.

28 MR. MCGILL: Yes, we would.

1 MR. MONDROW: Okay, thanks.

2 MR. QUINN: I will move to a slightly different topic.  
3 We were talking about Hamilton earlier and I think it might  
4 have been said, but my understanding is that Hamilton uses  
5 a lot of its production of renewable natural gas for  
6 cogeneration and on-site usage. Is that your  
7 understanding?

8 MR. CHAGANI: I don't think that's my understanding.  
9 My understanding was that they used a lot of their raw  
10 biogas for cogeneration than, or for -- I think they have a  
11 bio fit contract or something along those lines -- and then  
12 the excess is turned into RNG and brought to market.

13 MR. QUINN: That's said better than I did, and thank  
14 you. So they're using the raw biogas, but obviously the  
15 injection facility we're talking about -- that's Union's  
16 facility that would be comparable to your injection type of  
17 facility. But that upgrading; is the upgrading required  
18 for them to use that biogas for their own usage?

19 MR. CHAGANI: I'm not familiar with the way -- like,  
20 what the processing of the biogas is. But from my  
21 understanding, if it's a wastewater treatment plant, there  
22 would be some level of -- I guess...

23 MR. QUINN: Cleaning?

24 MR. CHAGANI: Well, it's not really cleaning. There  
25 is a preparation step before you can push it towards the  
26 on-site generator.

27 MR. QUINN: Okay. So you are not that familiar with  
28 it then?

1 MR. MCGILL: I think, just to be clear, it would  
2 depend on what the city wants to use the product they're  
3 producing for.

4 MR. QUINN: Um-hmm.

5 MR. MCGILL: So if they are using the raw biogas to  
6 meet their requirements under, you know, a FIT contract,  
7 then that gas would require little upgrading in order to be  
8 used in a generator to satisfy those needs.

9 But let's say they wanted to take the excess biogas,  
10 convert it into pipeline quality RNG to fuel -- to provide  
11 as a heating fuel to another building in the city, then it  
12 would have to go through the upgrading and injection  
13 processes as we've described earlier.

14 So I think it's up to, in that case, that customer of  
15 Union to decide, you know, what they want to do with the  
16 gas and how they optimize that operation for their own  
17 benefit.

18 MR. QUINN: It would come down then to the economics  
19 of they've got a potential feedstock and do they use it  
20 themselves, do they refine it for distribution utilization  
21 for themselves or for somebody else?

22 MR. MCGILL: Yes.

23 MS. GIRIDHAR: And I understand that Hamilton also has  
24 RNG for its transit, some of their buses, the Hamilton  
25 Street Railway, I think they call it.

26 MR. QUINN: But is it your understanding that they are  
27 using gas that they have injected into Union Gas' system  
28 for the purposes of those buses?

1 MS. GIRIDHAR: I don't know that. I just know that  
2 they produce RNG and they also have CNG buses.

3 MR. QUINN: Okay. And looking at this from the why  
4 would we do it and the spurring of the market, you've got  
5 an organization -- and Ms. DeMarco went through this with  
6 you this morning -- in separating who's getting the  
7 benefits.

8 You're getting -- the term that was used was  
9 substitution benefit. The producer is getting the  
10 opportunity for an offset benefit.

11 MR. MCGILL: Right.

12 MR. QUINN: So that would reside in the -- in this  
13 case here, I'll stay with the municipality. I won't use  
14 Hamilton per se, but let's say it's a municipality in that  
15 system.

16 They're getting an offset benefit based upon -- based  
17 upon a capturing of potentially fugitive methane that is  
18 not either going into the environment or having to be  
19 flared; is that your understanding?

20 MR. MCGILL: Yes, that's part of what creates that  
21 value.

22 MR. QUINN: So Enbridge would potentially -- and I  
23 won't say lose out on, but you would not get the  
24 substitution benefit unless that was injected into your  
25 system.

26 MR. MCGILL: Yes, in order to get the substitution  
27 Benefit, the gas has to be injected into our gas  
28 distribution system.

1 MR. QUINN: Right, so there has to be a value  
2 proposition that would say what the incremental cost of  
3 upgrading -- whatever incremental upgrading is necessary  
4 and the injection to cover the value of your substitution  
5 benefit.

6 MR. MCGILL: Well, I think -- you know, as we talked  
7 about earlier, there is different categories of those  
8 benefits, so there's the direct substitution benefit and  
9 then there's the benefit that would come from generating  
10 offsets or RINs or other carbon abatement instruments,  
11 let's call them, and those would rest with that RNG or the  
12 biogas producer.

13 MR. QUINN: Right. And so I was struggling with this,  
14 and Mr. Mandyam just left, but I was asking him for a  
15 reference of what the cost is, you know, in terms of  
16 abatement opportunity that is associated with, you know,  
17 that -- the substitution benefit, and the best -- I  
18 couldn't find it in your evidence, so the best evidence we  
19 had was actually out of their most recent carbon cap  
20 proceeding, and it was a Union Gas undertaking, so I'm just  
21 using these numbers for illustrative; I'm not asking you to  
22 even accept them subject to check, but in JT1.25, which I  
23 forwarded to Bonnie, to Mr. Mandyam, to Joel here also,  
24 there is a table which we asked unit break out, based upon  
25 the assumption -- and it's up above there -- sorry, Ms.  
26 Adams -- this is all based upon \$16 a gJ, which was thrown  
27 out in the carbon cap proceeding, to say, okay, so what is  
28 the cost of this abatement relative to a purchase price,

1 assuming a \$16 per gJ RNG cost?

2 So using these numbers, again, to be somewhat in the  
3 ballpark, if it's \$16 is the number, as an abatement cost  
4 in year 1 -- and just focusing on year 1 for the moment,  
5 because it is illustrative, but the compliance cost,  
6 without government funding, that compliance cost would be  
7 \$240 per tonne. Do you see that there at the line E?

8 MR. MCGILL: Yes, I see that.

9 MR. QUINN: Okay. So I'm trying to understand, has  
10 Enbridge analyzed this opportunity that you are getting the  
11 substitution benefit and what the relative cost of the  
12 incremental facilities for a wastewater treatment plant to  
13 inject in your system, what are they -- they are getting  
14 the opportunity to inject into the system; you are getting  
15 a potential offset, but the offset cost looks like it's in  
16 the order of \$240 per tonne, and that -- when we don't have  
17 the marginal cost curve and that's not what this proceeding  
18 is about, but that's a relatively high cost even in  
19 comparison to the current cost of carbon in Ontario today.

20 So I'm just trying to understand the analysis that's  
21 gone into the value proposition of moving gas into your  
22 distribution system for, in this case, marginal benefit, at  
23 what would likely be a substantive cost?

24 MR. MCGILL: But that is not a cost for the company,  
25 so that substitution benefit, that's derived as a result of  
26 the GHG reporting requirements we operate under which  
27 dictate the number of carbon allowances we have to buy, so  
28 that benefit accrues to our ratepayers regardless of what

1 this production cost of the RNG is.

2 So in order -- you know, if the \$240 a tonne -- and I  
3 don't know if that's equating to the \$16 a gJ they  
4 reference in the other part of the interrogatory  
5 response -- then if somebody is willing to pay the \$16 per  
6 gJ for the RNG anywhere in North America, then you've got a  
7 business model that makes sense.

8 And so when we went through our procurement model we  
9 said, well, if we pay \$16 per gJ for RNG, that's going to  
10 mean our gas costs are going to increase to the extent we  
11 bring RNG into the system, say, call it by \$10 a gJ  
12 compared to what it might be today.

13 We said, well, that's not going to be acceptable, so  
14 we went to the government and we sought GreenON subsidy  
15 money to basically make up that \$10 difference in terms of  
16 ballpark numbers, so that was what that model was premised  
17 on, but to come back to my earlier point, that as long as  
18 someone in this -- like, under this example is willing to  
19 pay that \$16 a gJ for the RNG, the RNG producer has a  
20 business.

21 MR. QUINN: Okay.

22 MR. MCGILL: And that might not necessarily be  
23 Enbridge Gas Distribution paying \$16 a gJ for it.

24 MR. QUINN: I am trying to follow the questions that  
25 you are creating in your response, so I'll do them reverse  
26 chronological.

27 If it's not a purchase -- if they can't find a buyer  
28 at \$16 a gJ because that is simply put out of the market

1 for what natural gas is these days, then they -- their  
2 value propositions which they're going to have to do their  
3 own economics on is going to have to say if I can't find a  
4 buyer for that then I'm going to have to use it myself as  
5 potential.

6 So is Enbridge using some of its knowledge  
7 capabilities or technology to assist customers in doing  
8 this analysis of what their costs are for using it  
9 themselves versus finding a way to get it into the  
10 pipeline?

11 MR. MCGILL: Well, I think in terms of consulting with  
12 a customer, we might have some discussions with them along  
13 that line.

14 So if you had a -- say if it's a municipality and --  
15 city of Toronto, they probably have 500, a thousand  
16 building sites across the city where they could use the  
17 gas, so we would have discussions about -- with them  
18 potentially to say, well, okay, if you're not going to sell  
19 that RNG in the market or strip off the offsets, et cetera,  
20 and sell those separately in the market, you know, so how  
21 could we help you get that gas to those locations, we could  
22 enter into that gas transportation agreements or figure out  
23 a way to supplement existing gas distribution or  
24 transportation agreements, they introduce that supply to  
25 help them make it work.

26 MR. QUINN: But you're --

27 MR. MCGILL: They're not consulting with customers as  
28 to the economics of their RNG business.



1 MR. QUINN: Fair enough, so I'll leave that line,  
2 because I wasn't asking if you could help them get it to  
3 their other sites, I understand that, but using it on their  
4 own site, reducing the amount of investment, that's going  
5 to be their decision.

6 The other part you said before was, so, you know, you  
7 didn't want to take it into your portfolio at \$16 a gJ, and  
8 we're thankful for that, but you said -- but you sought the  
9 GreenON money to reduce the impact on customers, but would  
10 you agree with me that those same customers are paying for  
11 carbon cap costs which fund the GreenON funds?

12 MR. MCGILL: Well, the way I looked at that part of  
13 the situation was is that that hundred million dollars was  
14 a vehicle to return some of the money they had paid towards  
15 carbon allowances through their gas bills.

16 So to me I saw that as a real benefit to our customers  
17 that, here, you're getting at least 100 million back, or  
18 between us and Union \$100 million back of the money that  
19 you've paid for carbon allowances through paying your gas  
20 bill, so I thought that was a positive thing.

21 MR. QUINN: And I don't want to get into the  
22 compliance debate. I think this would end up being  
23 argumentative. I'm just -- when I look at the \$240 that's  
24 here as compliance cost without government funding, that is  
25 a significant cost relative to other options on your  
26 marginal abatement cost curve, correct?

27 MR. MCGILL: Right, but this isn't an option that we  
28 are pursuing in terms of meeting our carbon abatement

1 goals.

2 MR. QUINN: Okay. Well, I guess I --

3 MR. MCGILL: So if it's someone in California is  
4 willing to pay the \$240.67 tonne-equivalent, then there is  
5 an opportunity for somebody to produce that RNG in Ontario  
6 and sell it to them and potentially make money on it.

7 MS. GIRIDHAR: So maybe I can just provide a little  
8 bit more perspective as well, you know. I guess it's not  
9 for us to figure out what are the motivations of somebody  
10 willing to pay \$16 per gigajoule for a fuel that they could  
11 procure at \$3 or \$4 or \$6 per gigajoule.

12 Presumably the carbon abating value is significant  
13 enough that they want to pay \$16 per gigajoule, but I just  
14 wanted to -- you know, if you are an entity that wants to  
15 abate carbon and you don't look at RNG, you would be  
16 looking at renewable electricity in today's world, because  
17 those are the two alternatives you would have in front of  
18 you.

19 So natural gas, pure natural gas, is landed at  
20 something like 3 cents per kilowatt hour. Electricity in  
21 Ontario is 12 cents per kilowatt hour. The reality is,  
22 even if you paid \$16 per gigajoule for RNG, it would be a  
23 lot cheaper than renewable electricity in your portfolio.

24 So I think it is not for us to judge people on their  
25 carbon abatement decisions, but if parties want to abate  
26 carbon and are looking for cost-effective solutions and  
27 want to procure it at \$16 per gigajoule, then I think we're  
28 in the business of helping them do that. And we also know

1 it makes sense relative to other alternatives they are  
2 facing.

3 It is certainly cheaper with full-scale  
4 electrification with renewable energy, if that's what the  
5 entity is looking to do. So for a number of reasons -- and  
6 plus, of course, you also get storability with this product  
7 that's \$15 or \$16 a gigajoule. It can be stored year-  
8 round, it can be stored seasonally; that is not the case  
9 with renewable electricity.

10 For a number of reasons, RNG makes sense, our  
11 customers are telling us it makes sense, and just the  
12 physics and economics of energy distribution in Ontario  
13 tells us it makes sense.

14 MS. DeMARCO: I wonder if I could help, because I  
15 think there is confusion as to what you're paying for and  
16 proposing and what you're not.

17 So in relation to the direct emission reductions, i.e.  
18 the RNG itself, if you could possibly explain what you  
19 intend to do there versus the substitution emission  
20 reductions and how you calculate that on the basis of  
21 avoided compliance costs.

22 MS. GIRIDHAR: There is no carbon costs included that  
23 are being paid for by our ratepayers in any of this, unless  
24 we have an RNG procurement plan that is paid for  
25 ratepayers.

26 That is not the proposal in front of you. What is in  
27 front of you is an RNG enabling program where we charge any  
28 project proponent who wants to take the service from us the

1 full cost of taking the service over the life of the  
2 contract that they have with us. And we have an inter-  
3 temporal debit or credit, depending on what the revenue  
4 requirement is relative to that levelized cost.

5 Anything else that we do on top of that is not the  
6 subject of this proceeding.

7 MR. QUINN: Do you have anymore questions?

8 MS. DeMARCO: No.

9 MR. QUINN: We're not going to go any further. I  
10 wasn't going to bring up renewable electric, but...

11 MS. GIRIDHAR: Well, no, you were wondering what the  
12 \$16 is and the 200 and whatever -- \$223, \$240 per done.  
13 Like I mean that's what it is. I mean, people have to  
14 understand what is their cost of abating carbon, so I'm  
15 just trying to explain what might prompt somebody to pay  
16 \$240 per ton by using RNG. They would do it because their  
17 next best alternative is more than \$240 per ton.

18 MR. QUINN: In Hamilton's case -- and I haven't  
19 studied it completely and it's not on the record here, but  
20 they have been doing it a number of years and generating  
21 their own electricity renewably.

22 But they are using that biogas differently and with  
23 less -- as I'm understanding -- less of a need to have the  
24 upgrade/injection facilities.

25 So that put aside, I'm going to focus back and use the  
26 word "facilities" because there's something that was said  
27 earlier about the life of these facilities is 20 years.

28 I'm struggling with that, having designed and built

1 stations before, those -- the valves -- the meters may have  
2 to be switched out after 20 years, but the valves, the  
3 filters, the main piping, in your own metering stations for  
4 your customers, they are given a lot longer life.

5 Why are the systems that are being put in place for  
6 RNG service having a substantially shorter life?

7 MR. CHAGANI: So what Steve was referring to earlier  
8 is the actual upgrading sites. So the upgrading sites,  
9 from our discussions with manufacturers, is that they have  
10 a life of 20 years.

11 Now, the second piece is the injection site and you're  
12 saying, well, why are you also mirroring the injection site  
13 with 20 years? Steve also mentioned that the EBO 188 for  
14 industrial customers has a maximum feasibility period of 20  
15 years, so we are using that same framework. So we should  
16 therefore use the same feasibility timeline.

17 So even though an industrial customer -- yes, you're  
18 right, the meter may last longer than 20 years. When we  
19 run the feasibility, we use a maximum of 20 years.

20 MR. QUINN: Okay. So it's not the service life of the  
21 equipment in your injection facility?

22 MS. GIRIDHAR: Economic life.

23 MR. MCGILL: I think it happens to be a coincidence  
24 that the physical life of the upgrading facility equals 20  
25 years, which is the maximum feasibility period that we have  
26 in EBO 188 for an industrial customer feasibility test.

27 MR. QUINN: Well, maybe I misunderstood your answer  
28 Before. I thought you were talking about the service life,

1 and it may have only been pertinent to your upgrading  
2 facilities. So that's better clarity now, thank you.

3 I'm watching the time here, so I'm just going to move  
4 to FRPO.5.

5 MR. RUBENSTEIN: Could I ask a follow-up?

6 MR. QUINN: Yes, sorry. Go ahead.

7 MR. RUBENSTEIN: Dwayne was asking about the length of  
8 time in the life of the asset.

9 MR. MCGILL: Yes.

10 MR. RUBENSTEIN: So say you enter into a 20 year --  
11 the normal depreciation time for the assets is, say, 40  
12 years, just as an example. And the contract length is  
13 going to be different than necessarily the depreciation  
14 time.

15 Are you then going to depreciate these specific assets  
16 to match the contract length, or are you just going to  
17 depreciate them as they normally would?

18 MR. MCGILL: We will set the depreciation rate to  
19 match the contract life.

20 MR. RUBENSTEIN: Okay. So that means you will have to  
21 segregate in your depreciation schedules each individual  
22 customer's assets in their contract?

23 MR. MCGILL: Yes.

24 MR. QUINN: On FRPO 5 -- and again, earlier we  
25 separated this idea of offset benefit versus substitution  
26 benefit. And so the response that was heard in context  
27 earlier was that this guideline for quantification  
28 reporting of greenhouse gas emissions, the Ontario

1 regulation 400, that is quantifying the substitution  
2 benefit; is that correct?

3 MR. MCGILL: Well, it's the regulation that, I guess,  
4 supports the substitution benefit is, you know, the best  
5 way I can describe it.

6 It's the reporting regulation that supports the  
7 substitution benefit.

8 MR. QUINN: And you're familiar with it because it is  
9 attached to the original undertaking here that Union had  
10 offered some support for that view from the inter-  
11 governmental panel on climate change? It was attached to  
12 the original interrogatory. The reference is the AG  
13 Exhibit JT124.

14 [Witness panel confers]

15 MR. MCGILL: I don't have the reference that you are  
16 referring to here.

17 MR. QUINN: I want to be fair to the panel, and I  
18 thought you might have had that because it was specific and  
19 was used in the carbon cap compliance proceeding.

20 But the premise that Union had pointed out was that  
21 biomass was -- combustion biomass was considered carbon  
22 neutral because the biomass re-grows.

23 And our question has been and continues to be: How  
24 does that work for a wastewater facility in a municipality?

25 MR. MCGILL: Typically in a wastewater facility, the  
26 methane that is produced as a result of treating the  
27 wastewater would typically be captured and, in most cases,  
28 flared. So you are destroying the methane by flaring it

1 and, as a result of that, you are emitting CO2 into the  
2 atmosphere.

3 If you capture that methane and upgrade it into RNG  
4 you're, one, avoiding having to flare that gas and turning  
5 it into a useful product.

6 So in terms of the reporting regulation, when it was  
7 derived, the province determined that when we report our  
8 RNG -- or pardon me, GHG emissions that result in our  
9 allowance requirement, it is reduced by that amount of RNG  
10 or renewable fuel that we bring into the system.

11 So basically it comes down to just the way the  
12 regulation is written.

13 In terms of establishing what the offset value is for  
14 RNG, it would differ, based on different sources of  
15 feedstock.

16 So something like agricultural waste, where the  
17 methane is venting directly into the atmosphere and it is  
18 typically not captured and destroyed, RNG derived from that  
19 kind of feedstock would have a higher offset value than  
20 RNG, let's say, derived from a landfill site --

21 MR. QUINN: Because you are talking about fugitive  
22 emissions and the impact of methane being higher than  
23 carbon, so your prime premise then on the wastewater  
24 treatment plant is the presumption that it is all flared.

25 MR. MCGILL: Okay. So it would vary from one  
26 wastewater treatment to another. Some have open lagoons  
27 where the methane is just going straight into the  
28 atmosphere. If you were to capture that, I would suggest



1 that would create a higher offset value than a situation  
2 where the methane is being flared today, and that would  
3 vary from site to site.

4 MR. QUINN: So it is going to vary from site to site,  
5 but in the case of Hamilton, as an example, a municipality  
6 that's going to benefit from RNG, they can do things on-  
7 site to increase the amount of methane that they can  
8 extract from their plants; correct? So --

9 MR. MCGILL: Yes, to some extent, yes.

10 MR. QUINN: Okay. So I understand your premise now.  
11 It is helpful to hear that answer on the basis of flaring  
12 for the first time, but I guess my concern is more broad  
13 than just your application, it is the regulations, and  
14 we'll have to take that in a different venue, so I'm  
15 satisfied with your answer, Mr. McGill. I will just take  
16 it as that for now and move on so others can have some  
17 time.

18 MR. MCGILL: Okay, thank you.

19 MR. QUINN: Thank you.

20 MR. MURRAY: Mr. Mondrow, would it be good for you to  
21 go now, or a break, I think.

22 MR. MONDROW: I'm happy with a break.

23 MR. MURRAY: Are you ready to go?

24 MR. MONDROW: Yes.

25 MR. MURRAY: Okay. Let's go ahead. Let's try and get  
26 through one more. Do you guys need a break? Do you guys  
27 want to take a break?

28 MS. GIRIDHAR: No, we'd like to get through it.

1 [Laughter]

2 MR. STEVENS: The question is whether we can get  
3 through Mr. Mondrow and whether both Ian and Mark can get  
4 done in time now if everybody can survive without a break.  
5 If we're going to take a break anyway now is a good time.

6 MR. MONDROW: I don't know. I'm not going to promise.

7 MR. STEVENS: Are you --

8 MR. MONDROW: I'm more than five minutes, less than an  
9 hour. I put down 30 minutes.

10 MR. STEVENS: Between the two of you I think you've  
11 got almost an hour.

12 MR. MURRAY: I guess the question is over and under.  
13 Are you expecting to be here 30 minutes --

14 MR. MONDROW: Why don't we just take a five- or ten-  
15 minute break. I don't know. I mean, I had a brilliant  
16 series of questions this morning. It is a little foggier  
17 now. So I really can't -- sorry. I am going to be 20 to  
18 30 minutes, I think, is my guess or --

19 **EXAMINATION BY MR. MONDROW:**

20 We'll go with the court reporter's preferences. Let's  
21 go 'til 3:30.

22 All right. Let me start with something -- I think you  
23 said -- one of you said off the top -- you said absent the  
24 cap-and-trade framework Enbridge Gas Distribution will seek  
25 a variance account. And my question is to capture what?

26 MR. MCGILL: It would be to capture the revenue  
27 deficiencies and sufficiencies over the life of these  
28 contracts.

1 MR. MONDROW: Okay, and how is that different from  
2 what you're proposing to do with the cap-and-trade  
3 framework in place?

4 MR. MCGILL: Well, the only real difference is that  
5 under the cap-and-trade framework we have an existing  
6 customer GHG variance account.

7 MR. MONDROW: Okay.

8 MR. MCGILL: So these deficiencies and sufficiencies  
9 would probably be small entries into that larger variance  
10 account where, if we lose that variance account as a result  
11 of the wind-up of cap-and-trade, then we would seek for  
12 a -- to have a dedicated variance account with respect to  
13 this program set-up.

14 MR. MONDROW: Okay, thanks.

15 Earlier, Steve, I think I asked you whether the  
16 benefit of the avoided carbon compliance costs in respect  
17 of RNG applies whether or not the RNG is consumed in the  
18 province or out of the province, and your answer was it  
19 doesn't matter whether it's consumed in the province or out  
20 of the province.

21 MR. MCGILL: With respect to that substitution value  
22 that's derived as through the GHG reporting requirements we  
23 operate under.

24 MR. MONDROW: Okay, and I wonder if you could simply,  
25 by way of undertaking, provide the specific reporting  
26 regulation provision that makes that clear.

27 MR. MCGILL: Yes, yes, we can do that.

28 MR. MONDROW: Okay. Thank you.

1 MR. MURRAY: That will be Undertaking JT1.14.

2 MR. MCGILL: We may already have that in an earlier  
3 undertaking, but --

4 MR. MONDROW: Okay.

5 MR. MCGILL: -- one way or another we can --

6 MR. CHAGANI: It's within -- it's one of the  
7 requirements of JT1.2 already.

8 MR. MURRAY: Okay, then we will remove that  
9 undertaking. It will be included as part of JT1.2.

10 MR. MONDROW: Okay, thanks.

11 Malini, I think you've said this a couple of times,  
12 but we all agree, I believe, that the -- well, let me back  
13 up. You've referred to a nascent market, I think you  
14 referred to that in an undertaking -- at least one --  
15 sorry, at least one interrogatory response, probably  
16 more -- I think you referred to it this morning. What  
17 market are we talking about? Are we talking about an RNG  
18 market or are we talking about an upgrading services  
19 market?

20 MS. GIRIDHAR: I think they're both nascent.

21 MR. MONDROW: Okay. And is the nascency of the  
22 upgraded services market one of the rationales that you  
23 offer for the appropriateness of EGD providing the service  
24 you requested approval for?

25 [Witness panel confers]

26 MS. GIRIDHAR: No. I mean, we are calling it an RNG  
27 enabling program, so we believe it's helpful to the market.  
28 It helps bring more RNG into the market. The construct, as

1 well, though, is there's an optional service, so to the  
2 extent that an RNG producer is motivated to bring RNG as a  
3 result of the service, that's great. If they feel they  
4 could do it without the service, that's fine too.

5 MR. MONDROW: Okay. And it helps bring more RNG into  
6 the market, I think you said, because -- Steve said this  
7 this morning -- you can do it at a lower cost than others  
8 can do it, you believe?

9 MS. GIRIDHAR: To be clear, you know, we don't believe  
10 that there are competitors at this point.

11 MR. MONDROW: We'll get to that, but you did say you  
12 have a lower cost of capital and that's an advantage in  
13 terms of facilitating this market?

14 MS. GIRIDHAR: We believe that for Enbridge to  
15 facilitate this market it makes sense to do it as a  
16 regulated activity because we have the benefit of a lower  
17 cost of capital --

18 MR. MONDROW: Okay. And --

19 MS. GIRIDHAR: -- than outside of regulation.

20 MR. MONDROW: Right. And Steve, you talked earlier  
21 with others about the level of return required. And it's  
22 up to a provider of the service to determine what level of  
23 return they want in offering the service. People are free  
24 to pick a level of return.

25 But it's true, isn't it, that EGD has a lower cost of  
26 capital and a lower return on equity because it's got a  
27 lower risk than a non-regulated company, and it's got a  
28 lower risk because it's regulated.

1 MR. MCGILL: I think that's the standard thinking,  
2 that --

3 MR. MONDROW: Might not feel that way sometimes,  
4 but...

5 MR. MCGILL: That utilities, regulated utilities,  
6 typically face lower risk than competitive business and  
7 that, you know, that's probably the case.

8 MR. MONDROW: In the Enbridge group the return  
9 required by your shareholder from the utility is lower than  
10 the return required by your shareholder from unregulated  
11 activities; right?

12 MS. GIRIDHAR: Correct.

13 MR. MCGILL: For the most part, yes.

14 MR. MONDROW: And what's the spread, do you know?

15 MR. MCGILL: It would vary from one initiative to the  
16 next based on the assessment of risk associated with each  
17 of those initiatives.

18 MR. MONDROW: Is it true that the cost of the  
19 utility's debt is lower than the cost of debt for  
20 Enbridge's unregulated businesses generally?

21 MR. MCGILL: I'm not sure with respect to the cost of  
22 debt because we have our own debt issues and I'm not sure  
23 how that would compare to the overall level or the cost of  
24 debt that Enbridge Inc. incurs at a corporate level.

25 MR. MONDROW: You are not sure --

26 MS. GIRIDHAR: We rely on the expertise of our  
27 treasury group. We take our projects to them, as does  
28 everybody else, and then they decide what the cost of

1 capital is for a project based on an assessment of the  
2 risks associated with the project.

3 MR. MONDROW: And you don't agree that historically  
4 the cost of debt for EGD is lower than the cost of debt for  
5 an unregulated Enbridge business; that has not been your  
6 experience?

7 MR. MCGILL: There is a difference between cost of  
8 capital and cost of debt --

9 MR. MONDROW: I understand that. I asked you about  
10 cost of capital and the cost of debt.

11 MR. MONDROW: I understand that. I asked you about  
12 cost of capital, and now I'm asking...

13 MR. MCGILL: In terms of cost of debt, I don't know  
14 because of the way the company is financed. But in terms  
15 of the cost of capital that would be required from one  
16 initiative to the next, that would be different and, you  
17 know, in my experience, that's usually driven by  
18 considerations around equity returns, not so much by a cost  
19 of debt.

20 MR. MONDROW: Okay, thanks. I think somewhere in the  
21 interrogatory responses you talked about the advantage of  
22 your customer relationships in making people feel  
23 comfortable with you providing an upgrading service. Is  
24 that correct?

25 MS. GIRIDHAR: Yes.

26 MR. MONDROW: And similarly, they trust your brand as  
27 one of the selling features?

28 MS. GIRIDHAR: Yes.

1 MR. MONDROW: All right. Thank you. Something that  
2 you talked about earlier was the fact that you only have  
3 one customer for whom you inject gas. We talked about that  
4 already. I interjected and asked you a question.

5 Union, of course, has a number producers that inject  
6 gas. Do you know if they have -- I just don't know the  
7 answer. Do they have an injection service and a dedicated  
8 rate for that, they being Union Gas?

9 MR. MCGILL: Union Gas has a rate. It's their M13  
10 tariff, which is a wheeling rate, just basically to move  
11 gas from point A to point B. And that's what they apply  
12 with respect to local production that -- you know, I'm not  
13 sure to what extent Union actually procures local  
14 production, but I know that they use M13 for their wheeling  
15 rate.

16 With respect to the facilities to take that gas into  
17 their system, I believe they charge the customers for that,  
18 like up front, in order to construct those facilities.

19 MR. MONDROW: Okay, thanks. We've talked about the  
20 city of Toronto a couple of times. They are the only  
21 potential customer of these services with whom you  
22 currently have an agreement in place, as I understand it.  
23 Is that correct?

24 MR. MCGILL: That's correct.

25 MR. MONDROW: And I think you said earlier, Steve,  
26 that you're aware of another one or two projects, upgrading  
27 projects?

28 MR. MCGILL: Yes, the City of Toronto has potential



1 projects and we've had discussions with other GTA  
2 municipalities, principally Durham and Peel.

3 MR. MONDROW: Are they at the stage of projects, or  
4 are they just interested in the concept?

5 MR. MCGILL: We're at the discussion phase with them.

6 MR. MONDROW: Early?

7 MR. MCGILL: Yes.

8 MR. MONDROW: Okay. You're aware of the Niagara RNG  
9 project by the Walker environmental group landfill?

10 MR. MCGILL: Yes, we have some knowledge of that.

11 MR. MONDROW: And am I correct that they are planning  
12 to self-perform the cleaning function -- sorry, the  
13 upgrading function.

14 MR. MCGILL: I'm not sure -- they are undertaking --  
15 they are taking on the responsibility for the upgrading  
16 function. I'm not sure exactly how they are going to go  
17 about doing that.

18 MR. MONDROW: Okay. Are they about shovel-ready, do  
19 you think?

20 MR. MCGILL: I don't know. I wouldn't think that  
21 they're that close at this point in time, but I think that  
22 they're probably in design phase and trying to determine,  
23 you know, equipment providers and things of that nature.

24 MR. MONDROW: Do you know if they are going to use the  
25 RNG for themselves, or are they going to inject it into  
26 your system? Do you know what they plan to do with it?

27 MR. MCGILL: I believe it's going to be injected into  
28 our system.

1 MR. MONDROW: There is a Storm Fisher Environmental  
2 Ltd. project near London, Ontario. Are you aware of that  
3 one?

4 MR. MCGILL: I'm aware of that facility; that facility  
5 has been in place for some period of time.

6 MR. MONDROW: That facility being a landfill of some  
7 sort?

8 MR. MCGILL: Yes, it's an anaerobic digest.

9 MR. MONDROW: Okay, sorry. Producing biogas?

10 MR. MCGILL: Producing biogas, yes, and I believe they  
11 have a FITT contract for electricity production and my  
12 understanding is that they are looking at expanding that  
13 facility to add some potential to create renewable natural  
14 gas.

15 MR. MONDROW: Do you know if they are planning to  
16 either self-perform or assume responsibility for the  
17 upgrading function?

18 MR. MCGILL: I don't know the details of that  
19 arrangement. That facility is in -- located in Union's  
20 service territory, so they would be having discussions with  
21 Union Gas along that line.

22 MR. MONDROW: Okay. That actually raises another  
23 question -- I'll come back to the other question.

24 So we've talked about Toronto, Niagara, Storm Fisher,  
25 some municipalities which are in discussion stages, and  
26 you've mentioned the names of those.

27 Are there any other projects that you're aware of for  
28 upgrading biogas to RNG?

1 MR. MCGILL: Yes, I think there's other parties we've  
2 spoken to, apart from municipalities, that have an interest  
3 in pursuing RNG production.

4 MR. MONDROW: They would be also in the early --  
5 conceptual, early stages?

6 MR. MCGILL: Yes.

7 MR. MONDROW: Have any of those other projects  
8 indicated that they will do the upgrading, or could do the  
9 upgrading on their own?

10 MR. MCGILL: I don't know that we're far enough along  
11 in those discussions. As Milani indicated earlier, through  
12 the RFP for RNG procurement, we did get a sense as to --  
13 that some parties were interested in us performing the  
14 upgrading service for them, and some parties were  
15 interested in taking that responsibility on themselves.

16 So there was a bit of a mix there.

17 MR. MONDROW: Okay. You've said that if you perform  
18 the upgrading service -- Mr. Chagani, this might have been  
19 you -- you are actually going to procure the equipment from  
20 third parties. Is that right?

21 MR. CHAGANI: From the manufacturers of the equipment,  
22 yes.

23 MR. MONDROW: Are you going to do the construction and  
24 installation with Enbridge people, or are you going to  
25 contract that out?

26 MR. CHAGANI: It would probably be a combination of  
27 both, depending on what activities Enbridge would do and  
28 what activities our contractors would do. But we would be

1 utilizing our contractors in the same fashion we do for our  
2 pipelines and we would also have on-site PSIs, which are  
3 which are inspectors. We would have our project managers,  
4 et cetera.

5 MR. MCGILL: We would be project managing all of these  
6 projects.

7 MR. MONDROW: And the engineering work, you said, I  
8 think, you would go to outside engineers experienced in  
9 these facilities?

10 MR. MCGILL: And they're working with our own internal  
11 engineering staff as well.

12 MR. MONDROW: Okay. And you would include all of your  
13 third-party contractor costs in the calculation of the rate  
14 400 agreement with the customer, presumably.

15 MR. MCGILL: In terms of determining the rate 400  
16 rate, yes, we would. We would be seeking to recover all of  
17 the capital costs associated with the installation of a  
18 facility.

19 MR. MONDROW: And have you considered at all the  
20 concept that we see in respect of connection of  
21 electricity, either load or generation systems -- the  
22 concept and the distribution system code of contestability,  
23 which defines what work the customer can get competitive  
24 bids on and what work they're required to contract for with  
25 you?

26 MR. MCGILL: We haven't considered anything along that  
27 line.

28 MR. MONDROW: Okay. Just on the city of Toronto, I

1 think you've said this, but I just want to make sure.

2 So the city of Toronto plans to use the RNG in their  
3 own operations is your understanding?

4 MR. MCGILL: We don't particularly know. I know in  
5 the early stages, we were led to believe that that was  
6 their desire. And then as we move through the process of  
7 negotiating with them, I think they started to explore  
8 other alternatives. But I don't have any direct knowledge  
9 of what they might be considering at this point in time.

10 MR. MONDROW: But in any event, they plan to deliver  
11 the RNG to your system and you will convey it on their  
12 behalf to wherever they want to it conveyed to?

13 MR. MCGILL: Yes, that's my understanding of what they  
14 will seek.

15 MR. MONDROW: So they become a direct purchase  
16 customer of yours?

17 MR. MCGILL: They already are.

18 MR. MONDROW: They already are?

19 MR. MCGILL: Yes.

20 MR. MONDROW: Fair enough. So the RNG would fall  
21 under the direct purchase arrangement?

22 MR. MCGILL: Yes. If they were going to consume the  
23 RNG at their own facilities, then that RNG would comprise  
24 part of their T-service and deliveries with respect to  
25 meeting their gas requirements under the transportation  
26 agreements.

27 MR. MONDROW: And use of the RNG in Ontario is not a  
28 condition of your agreement with the city of Toronto?

1 MR. MCGILL: No.

2 MR. MONDROW: Okay. I'm sorry, I just forget if you  
3 said this. Is it your understanding that the city of  
4 Toronto is going to proceed whether or not Ontario  
5 government funding is available?

6 MR. MCGILL: That's my understanding. As far as I  
7 know they are committed to going ahead with the project.

8 MR. MONDROW: So where are they going to get the  
9 funding; do you know?

10 MR. MCGILL: They would have to determine how to do  
11 that themselves.

12 MR. MONDROW: Do you know, Mary? No. It's okay.

13 All right. Ms. Giridhar, I made you come back after  
14 lunch, so I'd better ask you some questions. I hope  
15 you're --

16 MS. GHRIDAR: Oh, don't feel bad. Sorry.

17 MR. MONDROW: I feel obligated. So you are bringing  
18 forward the RNG -- I think these are questions for you --  
19 the RNG services proposed under section 36 of the OEB Act.  
20 You are asking for a rate order, essentially, is the relief  
21 requested in this proceeding, right?

22 MR. MCGILL: Yes, that's what we're looking for.

23 MR. MONDROW: Okay, and so just sticking with  
24 injection for a minute, is that sale, distribution, or  
25 storage, in your view?

26 MR. MCGILL: That would be distribution of gas --

27 MR. MONDROW: Would be distribution? Okay. And what  
28 about cleanup? Is that distribution?

1 MR. MCGILL: Distribution of gas.

2 MR. MONDROW: Cleanup is a distribution function?

3 MR. MCGILL: Yes.

4 MR. MONDROW: And that's by virtue of the fact that  
5 you now under cap-and-trade have a distribution company  
6 obligation to abate carbon? Is that what makes it  
7 distribution?

8 MR. MCGILL: Well, that's part of it. I think the  
9 other aspect of it is that by my reading and understanding  
10 of the Ontario Energy Board Act, that raw untreated biogas  
11 fits within the definition of gas in the Act and that  
12 upgrading that gas to a quality that -- such that it can be  
13 introduced into our gas distribution system would be a gas  
14 distribution activity.

15 MR. MONDROW: But you also think that others can do  
16 that if they want to do that?

17 MR. MCGILL: Yes.

18 MR. MONDROW: And they wouldn't do it as a  
19 distribution activity, right?

20 MR. MCGILL: I wouldn't expect so, no.

21 MR. MONDROW: Okay.

22 MR. MCGILL: I don't think it is a condition of the  
23 Act as to whether or not others can do certain functions.

24 MR. MONDROW: Sorry, I don't understand.

25 MR. MCGILL: Well, I don't think it's a condition of  
26 the Ontario Energy Board Act that others couldn't perform  
27 that function.

28 MR. MONDROW: They wouldn't need a rate order to do

1 that from this Board?

2 MR. MCGILL: That's right.

3 MR. MONDROW: Okay.

4 MS. GIRIDHAR: Yeah, I think just thinking that  
5 through, you know, there are certain things that we do, for  
6 example, I guess, natural-gas compression for vehicles is a  
7 service that we offer. Other entities can do that too. We  
8 have a distribution rate for natural gas vehicle --

9 MR. MCGILL: Refuelling.

10 MS. GIRIDHAR: Refuelling.

11 MR. CHAGANI: Another example is customer piping on a  
12 private property. Enbridge will do it up to a building,  
13 but if the customer wants us to drop off the gas at an  
14 earlier point we would do that, and then they would build  
15 the piping downstream of our meter station. Both  
16 activities can be done by utility and in this case by the  
17 customer, and that's on private --

18 MR. MONDROW: Okay. No, that's helpful. So what  
19 you're saying is that when your pipe crosses on to --  
20 crosses a property line, the fence, as you put it earlier,  
21 on to a person's property, that is no longer a regulated  
22 activity?

23 MR. MCGILL: It depends where the meter is located. So  
24 we -- the utility assets end at the outlet of the meter, so  
25 if the customer wants us to, say, build a sales station at  
26 the property line and then take the gas from the meter  
27 along -- in their -- across their property to their  
28 building, then that's done, and is quite typical, or the



1 customer might find it beneficial for us to extend our pipe  
2 across their property and locate the sales station and the  
3 meter adjacent to the building.

4 MR. MONDROW: So let's just be clear about what my  
5 question was. If Walker Environmental or Storm Fisher want  
6 to update their own biogas, they don't need to come to the  
7 OEB for a section 36 rate order, right?

8 MR. MCGILL: Correct.

9 MR. MONDROW: Okay.

10 MR. QUINN: Can I add to that, Ian? Just on the last  
11 -- the example that you gave about the pipe being  
12 downstream of the meter, so customer piping, there isn't a  
13 regulated rate for that service, is there?

14 MR. MCGILL: No, there's not.

15 MR. QUINN: So you do it on a cost-plus basis or how  
16 does that -- how does Enbridge charge for that?

17 MR. CHAGANI: No, so Enbridge would use our regulated  
18 rate to get to the point where we transfer custody to the  
19 customer.

20 MR. QUINN: The downstream part.

21 MR. CHAGANI: The downstream part. Enbridge is not  
22 building that part, the customer is building that pipe, and  
23 they don't have a regulated rate for that downstream pipe  
24 that goes from our meter to their burner tip.

25 MR. QUINN: So maybe I misunderstood. So Enbridge  
26 will not -- if a customer says they want it at their  
27 property line, Enbridge will not build the downstream  
28 piping?

1 MR. MCGILL: No, we won't build the downstream  
2 piping --

3 MR. QUINN: Okay.

4 MR. MCGILL: -- past the meter.

5 MR. QUINN: Okay, I misunderstood. I thought you were  
6 using that as an example of a service that you provide also  
7 as -- with the market. You are just saying anything  
8 upstream -- if it's on that property with upstream it's --  
9 you will do it, if it's downstream you won't.

10 MR. MCGILL: That's right.

11 MR. QUINN: Okay, that separates that out.

12 MR. MONDROW: Why not?

13 MR. MCGILL: I'm not sure. I think it might go --

14 MR. MONDROW: There's an idea for you.

15 MR. MCGILL: -- it might go back to the days of  
16 unbundling. You know, I think we probably would have been  
17 more inclined to do that kind of thing 20 or more years  
18 ago, but we don't do it today.

19 MR. MONDROW: Okay, thanks. Good.

20 Malini, there is also reference in the undertaking  
21 responses -- sorry, not the undertaking responses, the  
22 interrogatory responses to the undertakings, being the LGIC  
23 undertakings -- and I think they're also filed with the  
24 application if I'm not mistaken.

25 What part of the undertakings exactly are you relying  
26 on in respect of this application? Could you help me? And  
27 maybe we should go to them if we could. They are at  
28 Exhibit B, tab 1, Schedule 1, Appendix 1.

1           And I think what your evidence says if I recall it  
2 correctly is that these new business activities are  
3 provided for under the undertaking, so I'd like to  
4 understand that, please.

5           MR. MCGILL: So I think what we are referring to can  
6 be found on page 10 of Appendix 1 of Exhibit B1, tab 1,  
7 Schedule 1, and this pertains more so to the geothermal  
8 energy service proposal that we have. It's paragraph (d),  
9 and this is the ministerial directive that goes back to --  
10 this is the 2009 directive.

11          MR. MONDROW: So this is the first of the three  
12 directives you've got in this package, right?

13          MR. MCGILL: I think there is the undertakings that go  
14 back to 1998 or '99, and then two ministerial directives.

15          MR. MONDROW: Okay, and so, sorry, you were -- so  
16 again, I'm talking about RNG, so is there something in here  
17 that applies to your RNG request?

18          MR. MCGILL: No, we don't -- we believe that our RNG  
19 proposals are compliant with the undertakings because they  
20 are dealing with the distribution of gas as defined in the  
21 OEB Act.

22          MR. STEVENS: But in any event, Ian, to the extent  
23 that one would need to go beyond that, I think the  
24 reference that Steve was pointing you to, which is (d) on  
25 page 10 of 13 from the 2009 undertaking, broadly speaks of  
26 assets to assist the government of Ontario in achieving  
27 energy conservation goals.

28          MR. MONDROW: So RNG is an energy conservation

1 initiative?

2 MS. GIRIDHAR: Certainly utilizes gas that will  
3 otherwise be wasted.

4 MR. MONDROW: All right.

5 MR. STEVENS: I think writ large it fits within the  
6 government's energy conservation and just general energy  
7 goals that have been expressed, whether it's been through  
8 the LTIP, the CCAP, or cap-and-trade, and just the various  
9 endeavours that are aimed at lessening the intensity of  
10 energy consumption and the emissions associated.

11 MR. MCGILL: It's also -- I think the RNG proposal is  
12 also consistent with the letter that was sent to the chair  
13 of the OEB by the Minister of Energy in December 2016, and  
14 you can find that in Appendix 4 of Exhibit B, tab 1,  
15 schedule 1.

16 MR. MONDROW: All right, but that letter doesn't  
17 change either the OEB Act or your undertakings, right,  
18 Steve?

19 MR. MCGILL: No, it doesn't. But I think it gives a  
20 pretty clear signal as to what the policy of the government  
21 was at the time.

22 MR. MONDROW: Yes, well, we all know how policies  
23 change, but fair enough.

24 But I was actually asking about the authority that you  
25 think -- or the contemplation that you think arises from  
26 the undertakings in respect of RNG, because that's what  
27 your evidence said and I think you've answered that it's  
28 conservation essentially?

1 MR. MCGILL: Yes.

2 MR. MONDROW: Oh, it is distribution or conservation  
3 or combination of the two; Marion is correct.

4 Do you want to get up there?

5 MS. FRASER: No.

6 MR. MONDROW: Because you have to swear an oath. It's  
7 not a walk in the park by any stretch of the imagination.  
8 I should stop muddying up the record.

9 So in respect of the nascency of this activity -- and  
10 again, I'm talking about the clean up activity -- sorry,  
11 the upgrading activity -- if competition were to develop,  
12 if others started to coming into the market, would you --  
13 as a utility, would you withdraw from the market?

14 Again, I'm talking about the market for upgrading  
15 services in particular.

16 MS. GIRIDHAR: You know, I mean we want to offer the  
17 service as long as it's useful to the marketplace, again  
18 going back to calling it an enabling service.

19 I just want to point out that there's precedents at  
20 the Board where we have undertaken activities and at a  
21 point in time, the Board ruled that there was competition  
22 sufficient to forebear and, you know, if that was the case  
23 and a regulated service was no longer required, we would be  
24 prepared to consider that at that point.

25 MR. MONDROW: So what are those activities?

26 MS. GHRIDAR: Well, I think our retail energy services  
27 -- I think you are quite familiar with those, Ian, that we  
28 got out of that about 20 years ago.

1 MR. MONDROW: But you it never did that as a utility.  
2 That was never in regulation.

3 MR. MCGILL: What, the rental program?

4 MR. MONDROW: Sorry, energy services. I thought you  
5 meant the commodity. But sorry, the rental program.

6 MR. MCGILL: The rental program was within the utility  
7 right up until the end.

8 MR. MONDROW: Retail means -- yes, right, the context  
9 has changed. The rental program; what else?

10 MS. GHRIDAR: Storage.

11 MR. MONDROW: Storage; anything else?

12 MR. MCGILL: Well, I think there was a whole host of  
13 retail services we offered up until 2000. There was the  
14 rental program. We had appliance stores, we had  
15 merchandise financing programs.

16 MS. GHRIDAR: Insurance.

17 MR. MCGILL: Heating plan insurance, we put insulation  
18 in attics and did all kind of different things, weather  
19 sealing, upgraded windows, doors.

20 MR. MONDROW: Yeah, okay, fair enough. And those  
21 retail energy services dated back to the 1950s, as I  
22 recall, right? You were building load -- not you, but your  
23 predecessors were building load.

24 MS. GHRIDAR: We were transforming the market.

25 MR. MONDROW: Transforming the market. Yeah, good  
26 call.

27 If competition were to develop and -- well, sorry, let  
28 me back up. Malini, you said if that were to happen, the

1 Board could forebear, which means, I guess, that they don't  
2 set a regulated rate for that.

3 MS. GHRIDAR: Correct.

4 MR. MONDROW: But then would you have to take the  
5 upgrading service out of the utility function? That's what  
6 happened with the retail energy service.

7 MR. MCGILL: If it -- if it.

8 MR. MONDROW: And the storage that's now unregulated.

9 MR. MCGILL: If that unfolded the same way as the  
10 situation we had with the retail businesses in the late  
11 1990s, then yes, they would end up ...

12 MR. MONDROW: They would have to be removed.

13 MR. MCGILL: Yes, similar to what happened to agent  
14 billing and collection. It started out in 1998 as a  
15 utility service, and then the Board determined that it  
16 should be operated on a non utility basis in the case of  
17 Enbridge, and we've operated it is a such since -- was it  
18 1999, I believe.

19 MR. MONDROW: Until that happens, do you think you  
20 have an obligation to provide the upgrading service?

21 MS. GHRIDAR: It's a market facilitation role, so we  
22 want to be there for the customers and we want to be there  
23 for project proponents that want to bring RNG for our  
24 customers.

25 So I don't know whether it is an obligation; it is  
26 certainly a desire to enable the market. If I may provide a  
27 little more context on this?

28 MR. MONDROW: Absolutely.

1 MS. GHRIDAR: But I happen to sit on something called  
2 a clean tech strategy table that was initiated by the  
3 federal government, and the government has a explicit  
4 desire to incent adoption of clean technology in Canada and  
5 they are very interested in understanding the regulatory  
6 sandbox that we've operated at in the past that enabled,  
7 for example, a natural gas service to go from, I don't  
8 know, I guess from 200,000 customers in 1957 all the way up  
9 to penetration in excess of 95 percent of the marketplace  
10 by the time we reached the 1990s.

11 So there is an understanding that utilities play a  
12 facilitation role and especially as it relates to clean  
13 energy, that utilities can play a very supportive role for  
14 clean tech.

15 So it's not just us. I think there is appreciation  
16 for the role that utilities can play this space.

17 I just wanted to mention that.

18 MR. MONDROW: Sorry, I appreciate that. That would be  
19 a good discussion.

20 MR. MURRAY: That's right, Mr. Mondrow, a time check?

21 MR. MONDROW: You said go, I'm going. I still have  
22 some -- a few minutes. But if you want to take a break, I  
23 can come back to it, that's fine.

24 MR. MURRAY: Should we break until ...

25 MR. MONDROW: Maybe the court reporter would like --  
26 why don't we take a break? Let's see, I'll try.

27 I'm just looking for my notes, Malini, because earlier  
28 you mentioned something about the Board approving in the



1 past or permitting in the past a plain vanilla utility  
2 offering, I think was the term you used, alongside a  
3 competitive offering, and I am curious what you were  
4 referring to.

5 MS. GHRIDAR: I was referring to the commodity  
6 offering, so the fact that since the late '80s we have been  
7 offering -- I call it a plain-vanilla utility offering,  
8 because it's basically -- you know, it is a cost-based  
9 offering on commodity that has essentially a default that  
10 customers can take, and the Board enabled all kinds of  
11 other retail commodity offerings, you know, longer-term,  
12 different shade of pricing, et cetera.

13 And so I think GDAR is a good example where the Board  
14 ruled on a mechanism that allowed the utility to be there  
15 as a back stop and as a default, but also to have  
16 competitive offerings, which is really why I'm so enamoured  
17 by all of the thinking this Board has done in the natural  
18 gas industry space over the last 30 years and come up with  
19 a very rational framework that I believe can be applied  
20 here.

21 MR. MONDROW: I think I'm going to go, so we can both  
22 find it at the same time, to interrogatory response to  
23 Staff 7, which is under Exhibit I, tab 2.

24 This is something that we talked about earlier. I'm  
25 looking at the first page of the interrogatory under item C  
26 sub 1, which asked Enbridge Gas to explain whether it will  
27 enter into discussions with municipalities that are outside  
28 of its current service territory. So I guess we're talking

1 pre-merger, and your response was, which you can see on  
2 page -- bottom of page 2:

3 "Enbridge has not entered into discussions with  
4 municipalities that are outside of its current  
5 service territory."

6 Fair enough, but that wasn't the question. The  
7 question was: Will you? So will you? Is there any reason  
8 you wouldn't? And this is in respect of upgrading  
9 services, by the way.

10 MR. MCGILL: I think there is nothing to prevent us  
11 from doing that, but we haven't done that as of this point  
12 in time, and I think as we presumably move forward with  
13 further integration with Union Gas, this will be something  
14 that we address through that process.

15 MR. MONDROW: Okay. So just one more quick area. We  
16 talked about two other jurisdictions, Quebec and B.C.  
17 Those are the two jurisdictions that you've offered up as  
18 examples, and we talked a little bit about Quebec earlier,  
19 so we already know that upgrading is not part of the  
20 regulated distribution function according to the Régie in  
21 Quebec.

22 My understanding is that the issue of whether Energir,  
23 which is the new Gaz Métro, should procure RNG and pay a  
24 premium, is an issue that is currently before the Régie.  
25 Do you -- can you confirm that?

26 MR. MCGILL: Yes, as far as I know that's correct.

27 MR. MONDROW: And has been before the Régie for some  
28 time.

1 MR. MCGILL: I don't know how long it's been in front  
2 of the Régie.

3 MR. MONDROW: Okay. There is a large RNG facility in  
4 Quebec called -- or at Saint-Hyacinthe? I'm probably not  
5 pronouncing it right -- you're aware of that facility --  
6 that facility was built, as I understand it, with municipal  
7 funding, upgrading facility?

8 MR. MCGILL: I don't know.

9 MR. MONDROW: You don't know? Okay. There are a  
10 bunch of other pro -- RNG upgrading projects in Quebec  
11 currently -- facilities currently operating?

12 MS. GIRIDHAR: We know of one more if...

13 MR. MCGILL: Yeah, we're aware of one other facility  
14 that's operating in Quebec at the moment.

15 MR. MONDROW: And other than Saint-Hyacinthe, those --  
16 that other facility is selling its RNG to California,  
17 right? Do you know that?

18 MR. MCGILL: I can't confirm that. I...

19 MR. CHAGANI: We know that it's injecting into  
20 TransCanada. We don't know where the gas goes beyond that.

21 MR. MONDROW: It's not being used in Quebec?

22 MR. CHAGANI: We couldn't tell you.

23 MR. MONDROW: Well, it's going into TransCanada, so it  
24 is not being used in Quebec, right?

25 MS. GIRIDHAR: It could be. I think it is going into  
26 the TQM system -- we are not aware --

27 MR. MONDROW: -- downstream? Okay. Fair enough. But  
28 I think the answer is you're not sure.

1 MS. GHRIDAR: Correct.

2 MR. MCGILL: Correct.

3 MR. MONDROW: Okay. I believe that's it. Thanks very  
4 much. Thanks to the court reporter.

5 MR. MURRAY: Why don't we take -- Mr. Rubenstein, how  
6 long do you think you'll be?

7 MR. RUBENSTEIN: An hour. I don't know. Ten minutes,  
8 maybe, ten, 15 minutes.

9 MR. MURRAY: Umm... Why don't we take -- is ten  
10 minutes okay? If we only have ten minutes to go, ten-  
11 minute break, and we'll come back in ten minutes, at 4:00?

12 --- Recess taken at 3:49 p.m.

13 --- On resuming at 4:02 p.m.

14 MR. MURRAY: I think we'll get back to things, if  
15 everybody can please be seated.

16 I'm advised that OSEA, Ms. Fraser, doesn't have any  
17 questions, so I'm going to ask Mr. Rubenstein to go ahead  
18 with his questions.

19 **EXAMINATION BY MR. RUBENSTEIN:**

20 MR. RUBENSTEIN: Thank you very much. Can we start by  
21 going to SEC number 3, issue 1.

22 We had asked to provide the benefit of risks for each  
23 of the following parties: existing natural gas customers,  
24 RNG producers and Enbridge shareholders.

25 And for Enbridge shareholders, the comment is:

26 "Enbridge does not believe that its shareholders  
27 should bear any incremental risk with these  
28 abatement activities, given that the Board has

1           determined that GHG abatement activities are  
2           incurred as part of the utilities' role in  
3           providing distribution services similar to other  
4           delivery costs."

5           If the cap-and-trade program is wound down, does this  
6           response still apply?

7           MR. MCGILL: In terms of the cap-and-trade program and  
8           the company's obligations under it, this response, I think,  
9           is devalued significantly in the way it's drafted now.

10          But I think coming back to the point I made earlier,  
11          that we view both the upgrading service and the RNG  
12          injection services as distribution services that should be  
13          regulated by the Board under sections 36 of the OEB Act.

14          So I'd come back to that as our support for going  
15          ahead with this on a regulated basis.

16          MR. RUBENSTEIN: I understand that. But do you  
17          believe that the -- I take it from reading this that you  
18          speak to GHG abatement activities as a reason why the  
19          shareholder should not bear any costs. But if there is no  
20          abatement framework similar to the cap-and-trade program,  
21          to you believe that the shareholder should bear any risk?

22          MR. MCGILL: Well, I think what we said in the  
23          response is not bear any risk incremental to that that the  
24          shareholder already bears respect with respect to our  
25          regular business as it is today.

26          MR. RUBENSTEIN: All right. Could I now ask you to  
27          turn to Staff.9? It's in issue 2, I believe.

28          You were asked in part L for both the upgrading and

1 injection service to provide -- to specify the major cost  
2 components of the O&M expenses.

3 MR. MCGILL: Yes.

4 MR. RUBENSTEIN: And then you provide them. What you  
5 mean by consumables?

6 MR. MCGILL: Could you repeat that, Mark?

7 MR. RUBENSTEIN: What is meant by consumables.

8 MR. CHAGANI: So there would be a number of  
9 consumables, for instance oil for the different parts. But  
10 the main piece over here is in part of stripping out the  
11 hydrogen sulphate in the biogas, you need activated carbon.  
12 So activated carbon is the consumable specifically that  
13 was -- or the majority of this would be activated carbon,  
14 but there would be a number of other small pieces that  
15 would be changed from time to time.

16 MR. RUBENSTEIN: As I understand for both the  
17 upgrading and the injection service, how the contracts are  
18 structured and the costs are structured for the purposes of  
19 the DCF analysis which makes up the rate, you will have a  
20 forecast capital cost that will ultimately -- ultimately  
21 the customers will pay the actual -- sorry, the RNG  
22 producer will pay the actual capital costs?

23 MR. MCGILL: The rate will be based on the actual  
24 capital cost.

25 MR. RUBENSTEIN: But the O&M is a forecast cost for  
26 the length of the contract for whatever term it is; is that  
27 not correct?

28 MR. MCGILL: Yes.

1 MR. CHAGANI: So I think we should take a step back  
2 there. With respect to the O&M, operating these facilities  
3 requires more than what you're seeing on Staff 9, part L.

4 There is electricity, which is the largest component.

5 It's about 35 or 40 percent of the operating cost.

6 That's not labeled here.

7 There is natural gas that may be needed. There is  
8 water. Those are the three main utilities. All of those  
9 will be borne completely by the producer. So we would take  
10 -- we would take a gas service that would be on their site,  
11 we would take an electricity service. But those would be  
12 their costs, they would be paying the monthly invoices.

13 So then there are some costs that we would be -- that  
14 would be incurred as part of our operation, those are the  
15 ones labeled over here, and there are a very small  
16 component in the overall operating of the facility.

17 MR. RUBENSTEIN: Is this \$448,000 in total, or for the  
18 year that you are forecasting?

19 MR. CHAGANI: That's an annual amount per year.

20 MR. RUBENSTEIN: Let's say half a million dollars,  
21 roughly, but it is not about the magnitude. I'm just  
22 trying to understand.

23 You are forecasting that over the length of the term  
24 of the contract, 10, 15, 20 years, whatever it may be,  
25 correct?

26 MR. CHAGANI: Yes.

27 MR. RUBENSTEIN: So my question is -- I think there  
28 was some discussion about your previous experiences with a

1 projection facility. I think you have one -- you were  
2 talking about this old facility that you have, and will  
3 that -- will it look, or will it be similar to this one,  
4 the one that you will be putting in place?

5 MR. MCGILL: So to be clear, this interrogatory is  
6 dealing with the upgrading facility, not the injection  
7 facility.

8 MR. RUBENSTEIN: The injection is on the next page.

9 MR. MCGILL: So the existing injection facility or  
10 transfer -- custody transfer station we have would be much  
11 less complex than what we would be seeing with respect to  
12 an RNG injection facility. So I think the cost associated  
13 with that would be much less; it's much more  
14 straightforward.

15 MR. RUBENSTEIN: Well, lets put aside the magnitude;  
16 it is the secondary question. But I just want to  
17 understand conceptually here.

18 My understanding is you have one old injection  
19 facility and you have zero upgrading facilities that you  
20 currently operate.

21 MR. MCGILL: Yes.

22 MR. RUBENSTEIN: So what type of experience do you  
23 have to be able to forecast 20 years O&M cost for these  
24 facilities?

25 MR. MCGILL: Well, with respect to injection  
26 facilities, we operate -- I don't know, probably more than  
27 20 gate stations off the TransCanada system, and we have  
28 years and years of experience with that work.



1           So, you know, that's informed a lot of the costs that  
2 have been set out in this example in evidence here.

3           MR. RUBENSTEIN: And what about upgrading?

4           MR. MCGILL: With respect to upgrading, we haven't had  
5 experience operating an upgrading facility yet. But the  
6 costs we have are based on discussions we've had with  
7 service providers that would be participating in operating  
8 these services, and based on the contracts we would put in  
9 place for those services.

10          MR. RUBENSTEIN: So am I correct that if the operating  
11 costs end up being more than you forecast over the life of  
12 the contract, those costs will be borne by the remainder of  
13 your distribution ratepayers?

14          MR. MCGILL: Well, they would have an impact on the  
15 actual cost of operating the system and if the costs were  
16 higher, the return on the investment in these assets would  
17 be less; if the costs were lower, they would be higher.  
18 But that's similar to the risks we have with respect to  
19 operating the rest of the system.

20          MR. RUBENSTEIN: I guess that depends on what you  
21 would be building into rates at any future rate case,  
22 correct?

23          MR. MCGILL: Yes.

24          MR. RUBENSTEIN: And so are you saying that you will  
25 always build into rates -- you will not -- so let me put it  
26 this way: You will not build into rates at any time from  
27 today til the end of time, I guess, that we're doing these  
28 contracts, the O&M costs for any incremental O&M costs that

1 you have to forecast to service these customers?

2 MR. MCGILL: Can you give us one moment, please.

3 [Witness panel confers]

4 MR. CHAGANI: So Mr. Rubenstein, maybe I could direct  
5 you to the same Staff IR 9, bullet 0, and if we go through  
6 the table, what we see is a number of different scenarios.

7 So if we look at the last scenario, this is the base  
8 case with a 10 percent increase in O&M, and what it shows  
9 is what the annual revenue would be, the accumulated NPV,  
10 and then the PI.

11 And what we're seeing is that the methodology that we  
12 have outlaid within our application shows that the PI still  
13 is above 1, even if there is a 10 percent increase in O&M  
14 for every single of the 20 years.

15 MR. RUBENSTEIN: All right. And I'm not sure what the  
16 number would be to take that down to below 1. 12 percent,  
17 13 percent; correct?

18 MR. CHAGANI: Yes.

19 MR. RUBENSTEIN: That doesn't answer the question.

20 MR. MCGILL: It would have to be much higher than a 10  
21 percent increase for the full 20 years.

22 MR. RUBENSTEIN: Well, if 10 percent takes it down  
23 from 1.1 to 1.015, then 12 percent is taking that below 1?

24 MR. MCGILL: Sorry. Yeah, so if it is lineal, which  
25 I'm not sure that it is, but if it were, a 10 percent  
26 increase in O&M for the full 20 years results in the PI  
27 dropping from 1.1 to 1.08, so that's 20 percent, so you  
28 would have to increase O&M by 50 percent for the full 20

1 years in order to bring the PI down to 1, which is still  
2 break-even from a ratepayer standpoint.

3 MR. RUBENSTEIN: Okay.

4 MR. MCGILL: So I think the risk of increased O&M  
5 costs having a measurable effect on the feasibility of  
6 these projects is very, very low.

7 MR. RUBENSTEIN: Back to my original question. If you  
8 find out hypothetically after year 2 we really got it  
9 wrong. The cost is 30 -- O&M is going to be 30 percent  
10 every year more than we -- would you seek that -- would you  
11 seek to include that in your general -- whenever the next  
12 rate application you have, whenever the next cost-of-  
13 service rate application you have, to seek to recover that  
14 incremental amount from the rest of your customers?

15 [Witness panel confers]

16 MR. MCGILL: I'm just trying to think through how the  
17 process -- yeah, how the -- how the process would work.  
18 We're just trying to think through how the process would  
19 work from a rate-setting standpoint, and I'll get back to  
20 you in a moment.

21 [Witness panel confers]

22 MR. MCGILL: So Mark, the way I would look at this is  
23 that, you know, right now we have a proposal in front of  
24 the Board that would delay rebasing of our rates until  
25 2029, so that to the extent that we had increased O&M costs  
26 beyond what we were expecting, that would be for our  
27 account up until that time of rebasing, and then at the  
28 time of rebasing we would look at our total cost in terms

1 of determining a revenue requirement, seek to recover all  
2 those costs in rates.

3 MR. RUBENSTEIN: There was discussion about -- so as I  
4 understand it from your previous talking, for the capital  
5 cost, the RNG producer will pay the actual capital costs.

6 MR. MCGILL: Correct.

7 MR. RUBENSTEIN: What about future capital costs that  
8 it may need because there needs to be an upgrade to some  
9 sort of cap -- one of the facilities within the larger  
10 injection facility needs maintenance work that would be a  
11 capital maintenance work, would those be recovered from  
12 that customer?

13 MR. MCGILL: I believe we had an interrogatory  
14 response that spoke to that, and just give us a moment.  
15 We'll look at that before we respond to the question.

16 [Witness panel confers]

17 MR. RUBENSTEIN: If you want to answer by way of  
18 interrogatory, pointing to an interrogatory, if it exists,  
19 that's fine with me.

20 [Witness panel confers]

21 MR. CHAGANI: So while we find the IR response, the  
22 model would actually allow for, like, for us to build in  
23 future capital costs, so, for instance, on some of the  
24 plants that we're looking at, in year 10 or year 9 there is  
25 some membrane replacement, and so the membrane replacement,  
26 we would forecast that cost into our DCF analysis, and  
27 therefore it would be built into the fees, so that would be  
28 the first way that we could recover any future capital

1 costs that are required, and we could do it as a --  
2 depending on the way that the customer wanted to structure  
3 it, we could structure it that they paid in year 10 or  
4 earlier on, but the way that our model would be forecasted,  
5 throughout the life, from year -- from day one. We would  
6 forecast -- at certain times we would need to put capital  
7 into it to replace certain parts. Those costs would be  
8 built into the forecast.

9 MR. RUBENSTEIN: But that would only be for expected  
10 capital work you know you'll need to do, so -- as you said,  
11 so you can just go to an RNG producer and says, just so you  
12 know, in year 8 these things always fail, we need to  
13 replace them, or, you know, the life expectancy of this  
14 widget is ten years, so we'll have to replace it, so we're  
15 going to build in those costs, but that does not account  
16 for anything that's unexpected; correct?

17 [Witness panel confers]

18 MR. RUBENSTEIN: APPr0.5, I'm being told, 2.APPr0.5,  
19 part D may be what you're looking at apparently.

20 MR. MCGILL: The interrogatory that I'm thinking of is  
21 APPr0.5, part D. APPr0.5, part D so that was in issue 2.

22 So the question was: Please explain how Enbridge  
23 would account for further capital investment that may be  
24 required from time to time to continue to provide service  
25 over the life of the contract.

26 And the response was:

27 "The company will establish suitable warranties  
28 and protections from manufacturers and

1 installation contractors to cover future  
2 unanticipated capital costs for RNG processing  
3 and injection facilities. Any change required by  
4 the customer will result in adjustments to the  
5 customer's fees to cover the associated  
6 additional costs."

7 MR. RUBENSTEIN: So I read that as -- now, my  
8 interpretation. Enbridge will try to have warranties and  
9 protections from manufacturers and contractors. But  
10 ultimately, you will bear the costs for things that are not  
11 being requested by the RNG producer?

12 MR. MCGILL: I think to the extent that Enbridge had  
13 to bear any unanticipated or unforecasted costs that were  
14 weren't covered by the fee, we look at that as the same  
15 risk as we have today with respect to facilities that we  
16 install that don't last as long as we think they would, or  
17 require capital upgrades to. So those costs would be  
18 eventually recovered in rates through the same process.

19 MR. RUBENSTEIN: But in that situation, you allocate  
20 those costs to that rate class, generally. Here you are...

21 MR. MCGILL: Well, there is a cost allocation process,  
22 and those costs would probably be allocated across all of  
23 the rate classes, depending on the nature of the  
24 expenditure.

25 MR. RUBENSTEIN: But here the only rate class that  
26 will not be allocated those costs would be those that are  
27 actually benefiting from it.

28 MR. MCGILL: Yes, well, the one point is that the

1 ratepayers stand to benefit to the extent that the  
2 sufficiencies over time, or the revenue sufficiencies over  
3 time will exceed the revenue deficiencies. So that serves  
4 as an offset to those costs.

5 MR. RUBENSTEIN: Now with respect to the capital  
6 costs...

7 MR. MONDROW: Sorry, Mark, before you leave, can I  
8 jump in?

9 So two things, Steve, one is that if you are actually  
10 proposing to have manufacturers and installation  
11 contractors cover future underscore unanticipated capital  
12 costs, there will be a premium associated with that that  
13 they will charge you, right?

14 MR. MCGILL: And that will be included in the initial  
15 capital cost of the facility and recovered through the  
16 customer in the rate we charge them.

17 MR. MONDROW: Right, okay. And in respect of the  
18 point you just made to Mark about if beyond those  
19 warranties and protections, there was additional capital  
20 required, you would seek to recover that from all  
21 ratepayers.

22 The answer is that except for those ratepayers under  
23 the service who are obligated to pay you only what their  
24 contract says, right? So I think you acknowledged  
25 implicitly that those customers benefiting from those  
26 upgrades would not actually bear any portion of the costs  
27 to the extent that they spilled over into your other rates.

28 MR. MCGILL: Yes, I just -- I agree with your

1 statement, other than I wouldn't characterize these things  
2 as upgrades. These would be unanticipated costs that are  
3 required to keep the facility up and running. So it  
4 wouldn't be upgrades.

5 MR. MONDROW: Point taken, thank you. Thanks, Mark.

6 MR. RUBENSTEIN: With respect to capital costs, the  
7 end that the customer -- the actuals that the customers or  
8 the RNG producer will be required to pay for, does that  
9 include all the regulatory costs that may -- you may be  
10 incurred bringing forward a leave to construct proceeding  
11 for approval?

12 MR. MCGILL: I'm not sure how we treat those costs  
13 today, but with respect to our leave to construct  
14 proceedings, my assumption would be that we would treat the  
15 regulatory costs associated with those applications in the  
16 same manner as we do today for regular leave to construct  
17 applications.

18 So I can take an undertaking to confirm that, but --  
19 because I don't know what we do today, if we actually  
20 charge projects with the cost of regulatory proceedings  
21 associated with the leave to construct applications that  
22 support them.

23 MR. RUBENSTEIN: All right. Well, I'd like you to do  
24 that. I'd also like you to -- I know that to give us a  
25 forecast of what -- using, let's say, your model projects,  
26 what your expectation of that cost would be.

27 MR. MCGILL: Okay, that's -- we'll have to make some  
28 assumptions in order to do that, but we can make an attempt



1 do that.

2 MR. RUBENSTEIN: Just to get a sense of the magnitude.

3 MR. MURRAY: That will be undertaking JT1.14.

4 **UNDERTAKING NO. JT1.14: TO CONFIRM WHETHER REGULATORY**  
5 **COSTS ARE INCLUDED IN CAPITAL COSTS THAT MAY BE**  
6 **INCURRED IN BRINGING FORWARD A LEAVE TO CONSTRUCT**  
7 **PROCEEDING FOR APPROVAL; TO PROVIDE MODEL PROJECTS**  
8 **SHOWING EXPECTATIONS OF WHAT THOSE COSTS WOULD BE**

9 MR. RUBENSTEIN: With respect to the -- not if there's  
10 a required pipeline to be built, but with respect to the  
11 upgrading and injection facilities, would Enbridge require  
12 other permitting or other environmental assessment  
13 processes outside of anything that the Board would require  
14 in a leave to construct?

15 MR. MCGILL: Yes, there are some permits that are  
16 required. Some of them would be obtained by the biogas  
17 producer. Some of them I believe that we would have to  
18 obtain principally from the Ministry of Environment and  
19 Climate Change so -- Mr. Chagani might be able to elaborate  
20 on that.

21 MR. CHAGANI: The main permit to be the site ECA. So  
22 presumably, most of these sites would already have an ECA,  
23 so there would be an amendment allowing Enbridge to build  
24 the facilities on the site.

25 MR. RUBENSTEIN: Who would be responsible for that?

26 MR. CHAGANI: It would be a combination of Enbridge  
27 and the site owner.

28 MR. RUBENSTEIN: Who would be paying for it?

1 MR. CHAGANI: If Enbridge was paying for it, it would  
2 be built into our service fees. If it was the site owner,  
3 then they would just absorb it.

4 MR. RUBENSTEIN: Could I ask you to go to -- well, I  
5 won't ask you about the interrogatory. But we had a  
6 discussion earlier on, and I interjected at some point  
7 earlier on today about the financial assurances.

8 MR. CHAGANI: Yes.

9 MR. RUBENSTEIN: And if we can go to Staff.16 -- this  
10 is number 2, issue 2 -- sorry, I may have that number wrong  
11 here. Sorry, Staff.6, this is a copy of the bio -- in the  
12 attachment 1 is the biogas services agreement opinion. If  
13 I could ask you to turn to page 14 of 92 -- sorry, 15 of 92  
14 where it talks about the financial assurances.

15 And 13.02 says:

16 "Any request for financial assurances should be  
17 based on the creditworthiness of the customer and  
18 shall be consistent with the company's then  
19 current policies relating to customer account  
20 security applicable to like customers."

21 Is there a written policy relating to customer account  
22 security?

23 MR. MCGILL: Not that I'm aware of, no. I'm familiar  
24 with the process of how we go through our assessments of  
25 creditworthiness, though.

26 MR. RUBENSTEIN: So when do you decide that you  
27 require assurances or not? What is the --

28 MR. MCGILL: Well, it would be based on the credit

1 assessment of the counter party we're dealing with. So we  
2 basically do typical kind of credit checks, either through  
3 Equifax or Dunn & Bradstreet. We find out what the credit  
4 ratings are for those customers. We will review their  
5 financial statements and take into account, you know, the  
6 history of that organization.

7 We have analyst in our office that does that work, and  
8 they will come back to us with a recommendation as to how  
9 much security we require, and that analysis is consistent  
10 with the requirements of our corporate treasury department.

11 MR. RUBENSTEIN: And I assume for large customers,  
12 those who would be of the size that would -- and the type  
13 of entity that would take on this service, you're not 100  
14 percent successful in recovering all fees owed?

15 MR. MCGILL: We're not 100 percent successful, but I  
16 think based on our bad debt expense we have a very good  
17 track record.

18 MR. RUBENSTEIN: And would Enbridge be amenable either  
19 being in the rate handbook itself with respect to this rate  
20 or a Board condition with respect to, if it approves your  
21 application for language that would require the sufficient  
22 financial assurances to be provided to cover all  
23 undepreciated costs of the asset and removal and site  
24 remediation?

25 MR. MCGILL: Just give us a moment, please.

26 [Witness panel confers]

27 MR. MCGILL: I think as a practical matter it would be  
28 difficult for us to accept that kind of provision, in that

1 we expect that the majority of the counterparties that  
2 we're dealing with in terms of these arrangements are going  
3 to be municipalities, and that, you know, their credit  
4 ratings typically well exceed our requirements, and that to  
5 go to them and ask for things like irrevocable letter of  
6 credits and -- letters of credit and whatnot, I think,  
7 would undermine our credibility with them, in fact, so to  
8 have some kind of blanket stipulation like that I think  
9 would be very problematic -- problematic --

10 MR. RUBENSTEIN: What about non-public sector  
11 entities?

12 MR. MCGILL: Well, I think that's what we do today.  
13 We assess their creditworthiness. We have standards that  
14 apply, and then we seek security that's appropriate for  
15 that -- those individual entities based on those  
16 assessments, so like I said, I'm quite familiar with the  
17 process. I looked after credit collections for the company  
18 for a number of years, so I've been involved in lots of  
19 instances where we've pursued security from customers,  
20 where we don't have significant investments in facilities,  
21 we just have significant receivable risk with them. So I  
22 know exactly how the process works and I know exactly the  
23 steps we go through in order to obtain that kind of  
24 security, so that's what we would apply in the case of non-  
25 government entities in terms of providing this service or  
26 any other service that we provide.

27 MR. RUBENSTEIN: So back to my question: Would you  
28 agree to language in the rate handbook, your conditions of

1 approval, for inclusion that would require sufficient  
2 financial assurances from producers to cover all  
3 undepreciated cost of the assets' removal site remediation  
4 if it was specific to private entities? If you'd like to  
5 think about it you can take an undertaking. I don't want  
6 to put you on the spot for something like that.

7 MR. MCGILL: I am just reluctant to agree to something  
8 like that without taking it back for consideration.

9 MR. RUBENSTEIN: Fully understand.

10 MR. MURRAY: We'll mark it as an undertaking. JT1.15.

11 **UNDERTAKING NO. JT1.15: TO ANSWER THE FOLLOWING**  
12 **QUESTION: WOULD YOU AGREE TO LANGUAGE IN THE RATE**  
13 **HANDBOOK, YOUR CONDITIONS OF APPROVAL, FOR INCLUSION**  
14 **THAT WOULD REQUIRE SUFFICIENT FINANCIAL ASSURANCES**  
15 **FROM PRODUCERS TO COVER ALL UNDEPRECIATED COST OF THE**  
16 **ASSETS' REMOVAL SITE REMEDIATION IF IT WAS SPECIFIC TO**  
17 **PRIVATE ENTITIES?**

18 MR. RUBENSTEIN: Those are my questions. Thank you  
19 very much.

20 MR. MURRAY: Thank you. That concludes the technical  
21 conference on this matter.

22 --- Whereupon the hearing concluded at 4:39 p.m.

23

24

25

26

27

28